

RED HILL VALLEY PARKWAY INQUIRY

TRANSCRIPT OF PROCEEDINGS  
HEARD BEFORE THE HONOURABLE J. WILTON-SIEGEL  
held via Arbitration Place Virtual  
on Thursday, March 23, 2023 at 9:30 a.m.

VOLUME 89

Arbitration Place © 2023  
940-100 Queen Street      900-333 Bay Street  
Ottawa, Ontario K1P 1J9      Toronto, Ontario M5H 2R2  
(613) 564-2727      (416) 861-8720



INDEX

	PAGE
CLOSING SUBMISSIONS BY MS. JENNIFER ROBERTS	16626
CLOSING SUBMISSIONS BY MR. BOURRIER	16709

1 Arbitration Place Virtual

2 --- Upon resuming on Thursday, March 23, 2023

3 at 9:30 a.m.

4 MR. LEWIS: Good morning,  
5 Commissioner, Counsel. We're here on our last day  
6 of the hearings and for the closing submissions  
7 first of counsel for Golder and then counsel for  
8 the MTO. So I believe Ms. Roberts is leading off  
9 for Golder.

10 JUSTICE WILTON-SIEGEL: Okay.  
11 Ms. Roberts, please proceed.

12 CLOSING SUBMISSIONS BY MS. JENNIFER ROBERTS:

13 MS. JENNIFER ROBERTS: Thank  
14 you, Mr. Lewis, Commissioner.

15 At the outset I just want to  
16 reflect on the origins of the inquiry, and that is  
17 how could it be that the City had a report about  
18 friction on the Red Hill in circumstances in which  
19 there were questions about whether it was slippery  
20 and no one apart from Mr. Moore had the report and  
21 nothing was done with the information or the  
22 recommendations. And these questions are asked in  
23 a circumstance where people have been injured and  
24 killed on the Red Hill and I want to acknowledge  
25 that as the background because I think it's

1 important not to lose sight of.

2 As I said when I made  
3 submissions in support of Golder's application for  
4 standing in January of 2020, Golder is committed  
5 to transparency and we have endeavoured throughout  
6 to assist with exactly that.

7 I want to address a point of  
8 clarification following listening to the City's  
9 submissions and reading -- and reading their  
10 written submissions.

11 Golder was retained by the  
12 City as its pavement consultant. They were not  
13 the safety consultant. And as we know, the City  
14 retained its own safety consultant, CIMA, in 2013,  
15 and CIMA had access to the City's data about  
16 collisions and most -- and I'll come back to  
17 most -- of the information by which they might  
18 need to have evaluated safety on the Red Hill.

19 By my count the City's  
20 submissions state more than 20 times that Golder  
21 did not express that there was a safety concern on  
22 the Red Hill, and that's true, but sort of misses  
23 the point; they are not the safety consultant.  
24 Dr. Uzarowski's evidence was that friction values  
25 in the Tradewind report were not a red flag to

1 him. Indeed, none of the experts who have  
2 evaluated friction on the Red Hill have considered  
3 that friction by itself was a safety hazard. The  
4 City's own experts consider that friction on the  
5 Red Hill was acceptable. Indeed, Mr. Hein, who  
6 has reviewed all of the friction testing and  
7 acknowledged that CIMA's findings about the high  
8 incidence of wet weather collisions, continues to  
9 maintain that friction values on the Red Hill are  
10 acceptable.

11 I'm going to go back to some  
12 background facts. The detailed design of the Red  
13 Hill was divided amongst three engineering firms,  
14 Stantec, Philips and McCormick Rankin. Most of  
15 the focus of -- in reference to collisions on the  
16 Red Hill has been in relation to section B, which  
17 is the section that Philips designed. The civil  
18 engineers were responsible for the civil design  
19 and the alignment.

20 Let me note that from the  
21 outset Golder has pressed for the inclusion of  
22 geometric data in the evidence, particularly in  
23 the overview document. We asked and asked again  
24 for drawings for the Red Hill which Dufferin was  
25 able to locate and the City eventually found.

1                   In Golder's view it was not --  
2   not possible to assess what factors contributed to  
3   collisions on the Red Hill without a thoughtful  
4   and thorough analysis of geometry, and as we've  
5   heard from the safety experts and Mr. Brownlee as  
6   well as CIMA, the geometry on the road with its  
7   elevation change curvilinear alignment is highly  
8   relevant to the question of what factors  
9   contribute to collisions on the Red Hill.

10                  Golder's evidence, not  
11   surprisingly, is mostly going to be focused on the  
12   pavement and there has been a great deal of  
13   evidence in relation to the design of the pavement  
14   on the Red Hill and its construction.  It's not  
15   contested, but I will highlight some of it because  
16   I think it's important to shine a light on the  
17   question of whether there was anything done in  
18   2007 or any deficiency in any of the material or  
19   construction that would have caused the Red Hill  
20   to be slippery.  In particular, because of the  
21   importance of aggregate in providing good  
22   frictional characteristics in a pavement, was  
23   there anything about the aggregate that was  
24   supplied that would have rendered it susceptible  
25   to undue polishing.

1                   The design of the Red Hill  
2 goes -- the pavement goes back to 2005. Golder  
3 was retained to prepare a feasibility study about  
4 the use of the perpetual pavement, and that  
5 assessed the pros and cons of using a perpetual  
6 pavement in contrast to a conventional deep  
7 strength one. And nothing turns on it, but the  
8 notion of the perpetual pavement was that the  
9 pavement would provide greater longevity. From  
10 the outset of Golder's engagement the City  
11 intended to use stone mastic asphalt as the  
12 surface course.

13                   And let me be clear on this  
14 point, because it seems it's been a point of --  
15 may potentially be misunderstood in the reporting.  
16 There is nothing experimental about the use of  
17 SMA. It was not controversial in 2007 when it was  
18 chosen as a surface course, and it is a premium  
19 pavement surface and used in fact on the majority  
20 of MTO's series 400 highways.

21                   The perpetual pavement design  
22 was an updated pavement design which Golder  
23 updated in its perpetual pavement design study  
24 Phase 2, which is a 2006 engagement.

25                   The pavement design



1 specifications and special provisions recommended  
2 in Golder's design study were incorporated in the  
3 tender for the pavement construction in early 2007  
4 and the main line paving contract was awarded to  
5 Dufferin as we've heard. Philips Engineering was  
6 the City's prime consultant retained to administer  
7 the project and Golder was retained by Philips to  
8 provide quality assurance for materials as well as  
9 construction.

10 As contractor, Dufferin had  
11 the primary obligation to provide quality control  
12 and it had its own consultant assisting with QC  
13 testing.

14 We've heard a lot about the  
15 aggregate and I'm going to go to that.

16 Dufferin proposed to use  
17 aggregate from its Demix-Varennnes quarry for the  
18 Superpave 12.5 FC2 as well as the SMA mixes for  
19 the project. At the time this quarry was not on  
20 the designated source materials list. It was  
21 first listed in 2009. As we have heard, it was  
22 not a mandatory requirement of OPSS for the  
23 aggregates to be on the DSM list. And the  
24 Varennnes aggregate had a history with the Ministry  
25 of Transportation in Quebec but not with MTO, and

1 Dufferin provided information from the MTQ and  
2 provided physical test data in order that its --  
3 that the asphalt could be qualified. And the  
4 outcome of the fact that the aggregate was not on  
5 the DSM list was that instead of relying on MTO's  
6 work, Dr. Uzarowski of Golder had to qualify the  
7 aggregate, and he did.

8 I am conscious that we have  
9 gone through this a number of times and it is in  
10 -- it is in detail in the materials. There are a  
11 couple of points here that Dr. Uzarowski  
12 considered that the physical properties of the  
13 aggregates were excellent. It's a finding with  
14 which Mr. Chris Rogers of the MTO who qualified  
15 the aggregates in 2008 for the DSM list agreed.  
16 Dufferin provided test results to establish the  
17 different elements of the aggregate, including its  
18 resistance to polishing. They delivered the  
19 test -- results from the test use by the MTQ which  
20 is the coefficient of polishing by projection, and  
21 that exceeded the value required in Quebec. And  
22 subsequent testing by the MTO in 2008 using the  
23 polished stone value testing, PSV, which is the  
24 testing preferred by the MTO, resulted in a value  
25 of 52, which is greater than what is required for

1 their DSM list.

2                                   The testing data provided by  
3 Dufferin as well as the MTO testing was reviewed  
4 by our expert Dr. Assan Baaj who confirmed that  
5 the physical properties of the aggregates in terms  
6 of their abrasion, attrition resistance,  
7 soundness, freeze/thaw resistance were all  
8 excellent.

9                                   Dr. Baaj confirmed that the  
10 aggregate was suitable for surface course asphalt  
11 mixes used for high volume high speed highways in  
12 Ontario. Dr. Gerard Flintsch in his testimony  
13 agreed with Dr. Baaj, as did Mr. Hein, the City's  
14 expert.

15                                   Having verified that the  
16 laboratory test results established that the  
17 aggregate was -- had excellent physical  
18 characteristics, Dr. Uzarowski sought to confirm  
19 the field performance. His evidence was that the  
20 field performance was the missing element in the  
21 picture, so he contacted the MTQ on July 18, 2007,  
22 and his notes record the conversation that he was  
23 told that the aggregate was a very good one, used  
24 by the MTQ, one of the best used in high volume  
25 roads. The aggregate was accepted and Dufferin

1 began to pave the main line with SMA on August 1,  
2 2007.

3                                   There is evidence in relation  
4 to the construction. And all I'm going to say  
5 about it really is that same detailed QC/QA review  
6 that went into the qualification of the aggregate  
7 was also applied to the construction. And in his  
8 review, Dr. Flintsch found that the mix designs  
9 were consistent with current mix practices, and  
10 although there were a couple of departures from  
11 the mixes on values, none of them would have been  
12 expected to have significant negative impact on  
13 the frictional properties. And there is also some  
14 incidental low compaction in some sections in  
15 early August. That was -- the evidence is that  
16 that was essentially resolved but that exists.  
17 Again, that not have been relevant to an  
18 evaluation of friction.

19                                   The paving was completed in  
20 2007 and the road was opened to the public in the  
21 fall of 2007. In 2013 there were some evidence  
22 that the Red Hill was showing wear. In  
23 particular, there were some findings of low  
24 severity cracking. There were two significant  
25 flooding events that affected the Red Hill, one in

1 2009 and one in 2010, and the evidence is is that  
2 that likely contributed to the deterioration of  
3 the pavement, as well as the fact that the road  
4 had a much higher volume of traffic than it was  
5 anticipated at design.

6                               What became the Golder report  
7 began in early 2013 as a five-year condition  
8 evaluation. Although not known to Golder at the  
9 time, CIMA had also engaged -- sorry, the City had  
10 also engaged CIMA to conduct a safety review of a  
11 section of the Red Hill which culminated in their  
12 report, the Red Hill Valley Parkway safety review  
13 that we call the 2013 CIMA report.

14                              In September of 2013 it seems  
15 following an incidence of high rainfall Mr. Moore,  
16 the director of engineering, e-mailed  
17 Dr. Uzarowski identifying that the police had been  
18 attributing accidents to the slipperiness of the  
19 pavement and asked for skid resistance, which was  
20 added to the existing engagement.

21                              In September of 2013 CIMA  
22 delivers its report and identified the atypical  
23 high proportion of single motor vehicle collisions  
24 on wet road surface in non-daylight collisions on  
25 their segment. That information is not provided

1 to Golder.

2 In carrying out the friction  
3 evaluation Golder first reaches out to MTO. They  
4 are unable to do the friction testing and declined  
5 at the end of October. Golder retained Tradewind  
6 Scientific to perform friction testing and  
7 Dr. Uzarowski's evidence was that he considered  
8 Tradewind to be experts in pavement friction  
9 testing.

10 The City's submissions might  
11 lead one to think that grip tester, which was the  
12 device used by Tradewind, is not used in Ontario.  
13 That's not true. It is used on roads, one of the  
14 devices used by the 407, and the MTO seems to have  
15 considered it but decided to continue using its  
16 locked wheel because of its accumulated data. It  
17 has advantages -- the grip tester has advantages  
18 in terms of continuous testing, and the way it  
19 operates is described as better, mimicking the  
20 affect of antilock brakes.

21 Dr. Uzarowski testified that  
22 the grip tester is well established. It's  
23 described in the TAC guide and in a number of  
24 technical presentations.

25 We note that Hamilton had no



1 nearly in all areas have friction values below or  
2 well below the relevant UK investigatory level 2  
3 hat it referenced.

4 Dr. Uzarowski's evidence is  
5 that he reviewed the reference guide identified by  
6 Tradewind and found Tradewind's use of the  
7 relevant UK investigatory level as overly  
8 conservative. And much has been made about the  
9 application of the UK investigatory level as a  
10 foreign standard.

11 Dr. Uzarowski's analysis of  
12 the Tradewind friction relied on the 1997  
13 Transportation Association of Canada Pavement  
14 Design and Management Guide, which set out a table  
15 with reference to standards using a UK standard  
16 for investigatory levels with a SCRIM.  
17 Dr. Uzarowski then identified a correlation for  
18 SCRIM skid numbers, correlating to grip tester  
19 numbers, and that was published by the UK Pavement  
20 Management System. And that chart in the UK PMS  
21 is -- correlating the investigatory levels for  
22 SCRIM to grip tester, was relied on by CIMA in the  
23 memorandum of February 4, 2019, in which they  
24 noted that the table was also referenced in the  
25 United States in their guide to pavement friction



1 and cited by Dr. Flintsch in his PowerPoint  
2 presentation, the primer, and the analysis of  
3 friction on the Red Hill, which is his  
4 November 2022 report.

5 Dr. Uzarowski considered that  
6 the applicable guide was GN of 41 which he rounded  
7 to 40. He concluded that the friction numbers  
8 from the grip tester were relatively low, a  
9 finding with which Dr. Flintsch agrees.

10 Dr. Uzarowski's view that the  
11 Tradewind reference for investigatory levels was  
12 overly conservative was also subsequently  
13 confirmed by Tradewind itself, CIMA in its  
14 memorandum of February 4, and Dr. Flintsch.

15 Dr. Uzarowski e-mailed  
16 Mr. Moore on January 31, 2014 enclosing the Golder  
17 report. The appendices to the report included the  
18 field investigations and the Tradewind report, and  
19 Dr. Uzarowski noted in his covering e-mail that  
20 the friction results had been included, and if you  
21 have any questions or require more information  
22 please do not hesitate to contact me.

23 Section 5 of the Golder report  
24 summarized the friction testing results including  
25 a synopsis of the Tradewind report and Golder's

1 analysis, and again, Dr. Uzarowski's finding that  
2 considered that friction levels were relatively  
3 low.

4                   The appended Tradewind report  
5 also discussed friction testing on certain ramps.  
6 And I note it because we know that there have been  
7 issues with ramps also being considered slippery;  
8 for instance, ramp 6 that comes up early in the  
9 CIMA investigation. The ramps were paved with the  
10 same aggregate but a different mix design. That  
11 was FC2. And the average for the ramps was very  
12 high, high 50s, low 60s. And I think that that's  
13 important to note because it goes to the issue  
14 that we've all been struggling with, is to what  
15 extent is friction, you know, a contributing cause  
16 to collisions.

17                   Section 6 of the Golder report  
18 included its analysis and recommendations. And  
19 I'm going to come back to this a couple of times  
20 because the recommendations incorporate the  
21 recommendations to remediate the pavement which  
22 has deteriorated as well as address the relatively  
23 low friction.

24                   And the Golder report  
25 recommends that to remedy the longitudinal top

1 down cracking, it is recommended that the surface  
2 course SMA be milled and a new surface course be  
3 placed at selected locations. At minimum, milling  
4 and overlay should be carried out on sections  
5 where the most frequent top down cracking is  
6 observed, and the Golder report estimates that  
7 it's about 2.5 kilometres. The report says the  
8 exact locations for the milling and paving should  
9 be determined on site.

10 On the remaining portion of  
11 the Red Hill the existing cracks in the surface  
12 course should be routed and sealed to prevent the  
13 ingress of water, and following the routing and  
14 sealing it is recommended that a single layer of  
15 microsurfacing be applied. In carrying out the  
16 mill and overlay where required and applying the  
17 microsurfacing the issue of the relatively low FN  
18 would also be addressed.

19 Dr. Uzarowski's evidence is  
20 that it was his practice to send a draft report to  
21 a client for discussion and feedback, and he  
22 explained the report is finalized once the client  
23 had provided comments. And that's, as we've seen  
24 from other consultants providing evidence in the  
25 inquiry, Golder's practice of delivering a report

1 in draft for comments is consistent with that of  
2 other consulting engineers, and Mr. Moore echoed  
3 that this norm is typical industry.

4 Mr. Moore and Dr. Uzarowski  
5 met at the City on February 7. Dr. Uzarowski  
6 handed a bound copy of the Golder report to  
7 Mr. Moore, including the Tradewind report.  
8 Mr. Moore recalled that they met but had no  
9 specific recollection of what was said.

10 Dr. Uzarowski presented his  
11 analysis and findings from the Golder report to  
12 Mr. Moore. Dr. Uzarowski took notes of his  
13 discussion with Mr. Moore and indeed,  
14 Dr. Uzarowski's notes are a chronicle of all of  
15 his work. In any engagement with the City he kept  
16 notes of what was said and often notes in advance  
17 of preparing for meetings.

18 Mr. Moore's evidence was that  
19 he read the Golder report before the meeting, and  
20 Dr. Uzarowski testified he discussed the Tradewind  
21 friction findings and that Mr. Moore asked no  
22 questions about the results or standards for the  
23 investigatory level by which to assess the  
24 friction data.

25 Dr. Uzarowski thought that

1 Mr. Moore understood the findings and  
2 recommendations. Dr. Uzarowski's evidence was  
3 that he also, when he met with Mr. Moore,  
4 delivered brochures from the le (ph) paving about  
5 microsurfacing as additional information in  
6 support of the recommendation and that brochures  
7 address microsurfacing as an effective pavement  
8 preservation technique for high speed, high volume  
9 roads.

10 And at this point in 2014  
11 Mr. Moore had also received all three pavement and  
12 material technology review reports. They also  
13 included findings and recommendations about  
14 microsurfacing as an effective technique for  
15 pavement preservation.

16 Although Mr. Moore's testimony  
17 in this inquiry was to the effect that he did not  
18 understand or agree with the reference standard  
19 for friction referred to by Tradewind and  
20 considered that it made no sense that friction  
21 improved from 2007 but was relatively low, there's  
22 no note recording a question or statement by  
23 Mr. Moore about friction or the standard by which  
24 to assess it. There's no evidence --  
25 corroborating evidence to support Mr. Moore's

1 assertions that he sought clarification on the UK  
2 standards when he first received the Golder report  
3 or when Dr. Uzarowski presented the findings and  
4 recommendations to him in early 2014.

5 Mr. Moore's evidence was he  
6 did not have a problem with Golder's  
7 recommendation to mill and pave in the areas where  
8 there was the worst cracking, but didn't agree  
9 with the recommendation to use microsurfacing. He  
10 stated that that was not something that we had  
11 successful experience with on other roads.

12 So while he did not recall  
13 specifically a discussion, he said that at some  
14 point he would have made it clear that  
15 microsurfacing was not something that we would  
16 consider useful and good value for money.

17 Dr. Uzarowski's evidence is  
18 that he also recommended shot blasting in the  
19 February 7 meeting as a cost effective alternative  
20 to improve frictional characteristics of the  
21 pavement. Mr. Moore had no recollection of the  
22 recommendation.

23 Both Dr. Uzarowski as well as  
24 Dr. Vimy Henderson, who was project manager for  
25 Golder for the Golder report, testified that the

1 findings analysis and recommendations contained in  
2 the Golder report were complete. It was  
3 effectively final subject to the courtesy of  
4 inviting comments from the client before sending a  
5 signed report, and in fact, Mr. Moore, his  
6 evidence was that he acknowledged that testing and  
7 the data from the course, the falling weight  
8 deflectometer and the inertial profile testing  
9 were all final.

10 There was some evidence later  
11 in the chronology, you know, as we get to 2018,  
12 some suggestion amongst the City witnesses that  
13 the Golder report wasn't final and that somehow  
14 explained why it hadn't been internally reported.

15 Dr. Uzarowski's evidence was  
16 that Mr. Moore was always more interested in the  
17 results of investigations and he wasn't finalizing  
18 a report. In fact, he said he didn't care about  
19 finalizing, he just wanted the information, he  
20 wanted the results and move ahead; that was his  
21 attitude. And for me it was the analysis were  
22 final, recommendations were final, and there was  
23 no request. I asked him if there were comments  
24 and he didn't have any request.

25 So at least in this respect

1 Mr. Moore's evidence agrees with Dr. Uzarowski's.  
2 Mr. Moore explained that he was looking for  
3 content and for action that they needed to take.  
4 Making it pretty and putting it on a bookcase was  
5 something that usually followed as a matter of  
6 course but not something that he would chase for,  
7 and absent a request from the City to finalize the  
8 report it remained unsigned.

9                   The evidence from Mr. Moore is  
10 that he did not send a copy of the Golder report  
11 and Tradewind report to anyone in the City after  
12 receiving it, and apart from the evidence that  
13 we'll come to in August in which Golder --  
14 August of 2018 Golder resends the Tradewind report  
15 to Mr. Becke. We have no evidence that anyone  
16 other than Mr. Moore received the Golder report.

17                   JUSTICE WILTON-SIEGEL: We're  
18 talking about in the City?

19                   MS. JENNIFER ROBERTS: Yes.

20                   JUSTICE WILTON-SIEGEL: So you  
21 are setting aside the Shillingtons -- the delivery  
22 to Shillingtons.

23                   MS. JENNIFER ROBERTS: That's  
24 something that Golder doesn't know about. All we  
25 know is it's given to Mr. Moore in the reporting.



1                   There are some engagements in  
2   2010, 2012 in relation to the pavement and  
3   materials technology review. I've identified them  
4   in our written submissions and I'm not going to --  
5   I'm not going to describe them here. It's not  
6   directly relevant.

7                   The next engagement note in  
8   relation to the Red Hill is the investigation and  
9   reporting for the inertial profile testing on the  
10   Red Hill, and that is what's described sort of  
11   colloquially as the bumps and dips. Inertial  
12   profile testing was done in 2013 as part of the  
13   Golder report and it was done again in 2016. The  
14   engagement to provide the inertial profile testing  
15   comes on the heels of the City's extensive  
16   investigation into the Red Hill Valley Parkway  
17   collisions that's conducted by CIMA. Golder had  
18   no knowledge of the CIMA investigation. The  
19   questions asked by CIMA as part of their  
20   investigation seemed to ripple into questions  
21   asked of Dr. Uzarowski in Golder's engagement.

22                   In the course of CIMA's  
23   investigation, Mr. Malone contacted Mr. Moore  
24   about the asphalt surface of the Red Hill, and on  
25   August 7 -- sorry, on August 7, 2015 Mr. Moore



1 Mr. Moore, and Mr. Malone asked two questions. He  
2 asks if his assumption that the FN numbers of less  
3 than 30 are below the desired level is correct,  
4 and if the 2007 and 2013 tests use the same  
5 methodology or were comparable.

6 Mr. Malone's evidence was that  
7 Mr. Moore did not advise him that the  
8 Golder/Tradewind performed the testing in the Red  
9 Hill Valley Parkway in 2013, but instead told him  
10 that the testing was done by MTO both times and  
11 that the data was comparable.

12 In the chronology sequence we  
13 have a couple of things that happen in the fall  
14 of 2015. One is that in its review of the 2015  
15 CIMA report Mr. Moore sought to delete this entire  
16 section recommending that the City conduct  
17 friction testing and he commented there was no  
18 basis, nothing to compare to and no other agency  
19 in Ontario, including the MTO, doing this. It  
20 means absolutely nothing except proving potential  
21 exposure to legal actions and confusion.

22 And on December 7 Mr. Moore  
23 attended the public works committee meeting where  
24 the content of the 2015 CIMA report was presented  
25 to council. At the meeting Mr. Moore responded to

1 the question about the quality of the asphalt used  
2 in the Red Hill and informed the public works  
3 committee that the MTO had performed initial  
4 friction testing and received results at or above  
5 what the MTO typically expected from high grade  
6 friction mixes. And he went on to say that they  
7 performed subsequent testing five years after in  
8 approximately 2012, 2013 and found that the road  
9 was holding up exceptionally well. He added "we  
10 have no concerns about the surface mix."

11 In his description Mr. Moore  
12 contradicted Dr. Uzarowski's finding that friction  
13 on the Red Hill was relatively low and Golder's  
14 recommendation that the Red Hill was in need of  
15 rehabilitation and preservation treatment.

16 On December 17 Mr. Moore sent  
17 to Dr. Uzarowski the same recompiled January 24  
18 summary of friction testing, and Dr. Uzarowski's  
19 evidence is that he had a telephone call with  
20 Mr. Moore during which Mr. Moore requested a copy  
21 of the Tradewind report. His evidence was also  
22 that at this call Mr. Moore asked follow-up  
23 questions about the Tradewind report, such as  
24 standards or anticipated values and correlation  
25 between testing methods used in 2007 and 2013.

1                   And what I note here is that  
2    the questions that Mr. Moore -- or that  
3    Dr. Uzarowski explains were asked of him echo the  
4    questions that Mr. Moore had asked -- sorry,  
5    Mr. Malone asked Mr. Moore on August 7, 2015 when  
6    he first received the 2007 and 2013 friction  
7    result.

8                   Dr. Uzarowski's evidence is  
9    that this is the first time since the delivery of  
10   the Golder report and the appended Tradewind  
11   report that Mr. Moore made an inquiry about the  
12   findings in the Tradewind report.

13                   And in response to Mr. Moore's  
14   request, Dr. Uzarowski sent a copy of the  
15   Tradewind report to Mr. Moore, noting that he  
16   would look at some standards and anticipated  
17   values.

18                   Dr. Uzarowski promptly  
19   contacted Mr. Taylor, Len Taylor of Tradewind, and  
20   asked the following questions: Do you know if  
21   there's any correlation between JTN and FN. The  
22   JTN limits you gave in the report are from the UK.  
23   Do you know what limits are typically used in the  
24   US or in Canada.

25                   In response Mr. Taylor sent a



1 Dr. Uzarowski was asked a question, did the  
2 research for it, and didn't report back. He did.

3 December 17, 2015 is the  
4 initial -- the initiation of the inertial profile  
5 testing engagement, and we know in 2016 that the  
6 Red Hill was programmed for rehabilitation. And  
7 Mr. Moore --

8 JUSTICE WILTON-SIEGEL: Can I  
9 just stop you for a second, Ms. Roberts. I just  
10 want to go back to the meeting or the telephone  
11 call in December. I meant to check this and have  
12 not had an opportunity to do so.

13 Do you know if there are any  
14 minutes of that or notes of that call?

15 MS. JENNIFER ROBERTS: There  
16 is certainly -- when Dr. Uzarowski sends the  
17 Tradewind report he references the discussion, but  
18 you ask a good question, and if you give me a  
19 minute I will double check.

20 I think that that's reported  
21 in the exchanges. I will double check here, but I  
22 don't think there is a specific note on  
23 December 17.

24 JUSTICE WILTON-SIEGEL: That  
25 was my recollection but I thought I should check

1 because it is potentially relevant who raised the  
2 Tradewind report in that first -- in that meeting,  
3 whether it was Mr. Moore or Dr. Uzarowski.

4 MS. JENNIFER ROBERTS: Well,  
5 the sequence is is that Mr. Moore e-mailed that  
6 compiled -- that compiled e-mail back to  
7 Dr. Uzarowski.

8 JUSTICE WILTON-SIEGEL: And  
9 that would have a reference at the bottom, as I  
10 recall, for the paper to the Tradewind report.

11 MS. JENNIFER ROBERTS: Yes, it  
12 does.

13 JUSTICE WILTON-SIEGEL: But he  
14 doesn't ask anything at that stage about standards  
15 relating to the Tradewind report.

16 MS. JENNIFER ROBERTS: No, he  
17 doesn't. Not in the e-mail.

18 JUSTICE WILTON-SIEGEL:  
19 Dr. Uzarowski says it came up in the meeting or in  
20 the telephone call, but it's not clear whether it  
21 came at Mr. Moore's insistence or it came -- sort  
22 of developed out of the conversation with  
23 Mr. Moore, or perhaps for the first time that the  
24 Tradewind report used different standards.

25 MS. JENNIFER ROBERTS: Right.



1 So I just need to correct myself. There is a  
2 reference to a notebook, discussion with GM. This  
3 is on December 2017.

4 JUSTICE WILTON-SIEGEL: And  
5 the document reference is?

6 MS. JENNIFER ROBERTS: I've  
7 got it as Golder 7409 at image 13.

8 JUSTICE WILTON-SIEGEL: Are  
9 you looking at your submission right now?

10 MS. JENNIFER ROBERTS: No, I'm  
11 looking at a note I have. I didn't specifically  
12 reference in my submissions the notes. You've  
13 asked and I've gone back to look, but there it is.  
14 It doesn't -- at least by my read the notes don't  
15 tell you who raises Tradewind -- question about  
16 the Tradewind report.

17 What we interpret from the --  
18 we interpret from Dr. Uzarowski's responding  
19 e-mail in which he attaches the Tradewind report  
20 that the question is asked about the correlation  
21 and -- correlation and if -- what the standards  
22 mean.

23 JUSTICE WILTON-SIEGEL: Okay.

24 MR. LEWIS: I can pull up the  
25 note if the commissioner wants to see it.

1 JUSTICE WILTON-SIEGEL: That's  
2 fine. We can look at it during the break. If  
3 I've got any further question I'll get back to  
4 you.

5 MS. JENNIFER ROBERTS: I just  
6 want to go to a slightly different -- this is the  
7 issue of Red Hill being reprogrammed -- a program  
8 for rehabilitation.

9 Mr. Moore in his testimony  
10 noted that it had been programmed by asset  
11 management for resurfacing and he suggested that  
12 asset management likely had the Golder report  
13 because of its decision making since there was  
14 information in the Golder report that would have  
15 supported the decision to resurface. But as you  
16 noted yesterday, Commissioner, Mr. Andoga denies  
17 that he ever received the Golder report.

18 What I do want to say is that  
19 the Golder report, in the analysis and  
20 recommendations, references anticipated necessary  
21 maintenance as part of the pavement lifecycle in  
22 the form of milling and paving, routing and  
23 sealing, and Mr. Moore speculated that they had  
24 likely had some discussion on timing about the  
25 recommendations because we had gotten 14 years of

1 traffic in six. In other words, at this point --  
2 clearly the analysis done by Golder that the  
3 pavement was deteriorating in large part because  
4 of the significant volume of traffic in excess of  
5 what had been expected was being on boarded by the  
6 City in its assessment as to what rehabilitation  
7 was necessary.

8 Another piece of information,  
9 and I think it's important so I'm going to note  
10 it, and that is in the Golder report in the part  
11 that is about milling and paving. The  
12 recommendations say the exact locations for  
13 milling and overlaying should be determined on  
14 site. And I think that that's significant because  
15 what happens in the inertial profile engagement is  
16 that Mr. Moore -- Dr. Uzarowski's evidence was  
17 that Mr. Moore wanted the exact locations of the  
18 bumps and dips plotted on a map for the project.  
19 The results of the inertial profile testing were  
20 sent and presented to Mr. Moore at a meeting on  
21 March 4 in the form of an Excel spreadsheet and a  
22 plan of the Red Hill on which Dr. Uzarowski had  
23 plotted the bumps and dips. There was no formal  
24 report for this engagement and Mr. Moore did not  
25 request one.

1                   Dr. Uzarowski recorded the  
2    topics discussed with Mr. Moore in his notes of  
3    the meeting of March 4.  At this meeting his  
4    evidence is that he advised Mr. Moore of the  
5    locations on the bumps and dips and repeated his  
6    recommendation to use microsurfacing to address  
7    the pavement deficiencies, and that recommendation  
8    from microsurfacing was repeated from the Golder  
9    report and consistent with the advice on pavement  
10  preservation techniques presented in the PMTR  
11  report.

12                  Dr. Uzarowski's evidence is  
13  that he also provided the plans and plotted  
14  location of the bumps and dips to be repaired to  
15  Mr. Andoga, and as we know, Mr. Andoga arranged  
16  for Miller Paving to conduct a lunch seminar with  
17  the City on March 21, 2016, and the topics for  
18  that seminar included asset management basics  
19  including microsurfacing.

20                  Mr. Nicholas Cifelli,  
21  technical services manager for Miller Paving,  
22  wrote to Mr. Andoga by e-mail exchange of May 2,  
23  2016, and he stated he drove the LINC and Red Hill  
24  and commented that micro was a good option,  
25  however we need to allow for some preconstruction

1 repairs and perhaps some crack sealing the year  
2 after in case some cracks return.

3 Although it's not  
4 acknowledged, the rehabilitation strategy of  
5 repairing the bumps and dips, crack sealing, and  
6 then using microsurfacing in fact follows the  
7 recommendations in the Golder report.

8 So what this suggests to me is  
9 that although a report is not circulated,  
10 information from it certainly seems to be known  
11 within asset management.

12 JUSTICE WILTON-SIEGEL: Why do  
13 you say that? This seems to be Mr. -- I've  
14 forgotten -- his independent assessment.

15 MS. JENNIFER ROBERTS:  
16 Mr. Cifelli's independent assessment?

17 JUSTICE WILTON-SIEGEL: Yes.

18 MS. JENNIFER ROBERTS: Yes.  
19 So he's coming to the same conclusion, I would  
20 agree. And Mr. Andoga is -- you know, it may be  
21 completely in parallel but they seem to know a  
22 couple of things about the Red Hill, that it needs  
23 to be rehabilitated.

24 JUSTICE WILTON-SIEGEL: Yes.

25 MS. JENNIFER ROBERTS: And

1 they also know, and it comes out in Mr. Becke's  
2 evidence that this top down cracking, the only way  
3 you know that the cracking is top down is because  
4 of the cores taken as part of the 2014 Golder  
5 report.

6 JUSTICE WILTON-SIEGEL: Okay.

7 MS. JENNIFER ROBERTS: In any  
8 event, although the decision-making process is a  
9 little opaque, but it appears that the  
10 rehabilitation and preservation techniques  
11 discussed by Golder and Miller Paving were not  
12 pursued, and in early 2017, if not earlier, the  
13 City seems to have decided to repave the Red Hill.

14 In the same meeting of March 4  
15 there is sort of third -- another sequence of  
16 exchanges that result from it, and that is that at  
17 that meeting Dr. Uzarowski's evidence is Mr. Moore  
18 again referred to statements from the police  
19 talking about slipperiness of the Red Hill.  
20 Dr. Uzarowski's evidence was that as a consequence  
21 he also recommended blasting, meaning shot  
22 blasting.

23 So I just want to note that  
24 Dr. Uzarowski has no knowledge of collisions on  
25 the Red Hill except for what anecdotal information

1 he's receiving from his client. He's the pavement  
2 expert. So what he does here and what he does  
3 consistently throughout is provide advice as to  
4 what to do, how to improve frictional  
5 characteristics of the asphalt.

6 And indeed what he does  
7 immediately following this meeting, and we can  
8 track it in the correspondence, is that  
9 Dr. Uzarowski contacted a number of companies  
10 offering shot blasting surfaces, Blastrac, Dimetic  
11 was one of the first companies contacted. He also  
12 contacts a skid abrader and in fact gets a quote  
13 for 300-some thousand dollars to skid abrade the  
14 entire surface.

15 There's some exchange of  
16 e-mails March 15, and it suggests that at least at  
17 outset Mr. Moore initially thought that the quote  
18 that Dr. Uzarowski relayed was for further  
19 friction testing instead of the surface treatment.

20 By further e-mail exchange  
21 Dr. Uzarowski clarified the benefits of skid  
22 abrading and shot blasting while recommending  
23 further friction testing to find the worst  
24 locations for selective treatment. In other  
25 words, if that's too much money then test --

1 further friction testing, find a location that may  
2 warrant selective treatment.

3 Mr. Moore responded I have  
4 never heard of this technology or what it does.  
5 Besides, it doesn't address the cracking, the need  
6 to address the surface distresses and deformations  
7 humps and bumps so I don't think we're interested.

8 So in 2017 the evidence is  
9 that there's a further engagement that becomes  
10 what we describe as the 2017 pavement evaluation  
11 report, and this is in the context of City works  
12 reporting that repaving had been scheduled for  
13 2018 to 2019. And what happens is in November  
14 of 2017 Mr. Moore becomes interested in whether  
15 it's possible to use a treatment called hot  
16 in-place recycling to repave the Red Hill. A hot  
17 in-place recycling is a process by which the  
18 existing surface pavement is scooped, placed in a  
19 mixing mill and then asphalt rejuvenator added and  
20 some beneficiating mix to correct the mix  
21 characteristics, and then the HIR mix is used to  
22 repave using conventional pavers and compacted  
23 rollers.

24 And the point here is that if  
25 it were applicable it would provide advantages to



1 the City in terms of cost efficiency and also  
2 environmental benefits. However, if the character  
3 of the mix has to be changed say from gap graded  
4 to dense graded, then the amount of new  
5 beneficiating mix had to be significantly  
6 increased and customized to make the final project  
7 meet product specification, and indeed that was  
8 the complication of trying to turn SMA and use it  
9 for an HIR process.

10 The 2017 pavement evaluation  
11 proposal provided for three tests, investigation  
12 of surface frictional properties using the British  
13 pendulum tester, pavement macrotexture using a  
14 sand patch method, and coring of asphalt surface  
15 layers, extracting of aggregating and testing for  
16 PSV. Of the three tests, only PSV was necessary  
17 to an assessment of whether the HIR was  
18 appropriate for the Red Hill and Dr. Uzarowski  
19 explained he understood that the evaluation for  
20 skid resistance was just for information.

21 All three tests required that  
22 lanes of the Red Hill be closed for traffic.  
23 Testing was conducted over two nights on  
24 December 6 and 7, 2017. Dr. Uzarowski's evidence  
25 was that the weather had been mild in the previous

1 days but unfortunately fell to freezing on those  
2 evenings. And on -- during the testing field  
3 notes taken by Emilia Josen of Golder recorded  
4 that they witnessed three collisions that occurred  
5 during the testing.

6 Dr. Uzarowski's evidence was  
7 that he first learned of fatalities on the Red  
8 Hill when Mr. Dave Hein, principal of ARA at the  
9 time and now City's expert, e-mailed a link to the  
10 Hamilton Spectator article titled "Scratching the  
11 Surface For Answers on Red Hill Paving." The  
12 article also repeated anecdotal concern expressed  
13 by drivers that the Red Hill was slippery.

14 There are three occasions in  
15 2018 where Dr. Uzarowski testified he repeated his  
16 recommendation made to Mr. Moore in 2016 to use  
17 shot blasting to improve the frictional  
18 characteristics for the Red Hill. Those are on  
19 February 23, March 9 and May 14. Of all of the  
20 Hamilton staff that attended those meetings, only  
21 Mr. Oddi acknowledged that Dr. Uzarowski  
22 recommended a technique to improve the frictional  
23 characteristics, or that the proposal was  
24 rejected.

25 He remembers the reason why

1 it was rejected differently. Mr. Oddi explained  
2 in his testimony that he didn't think that  
3 microsurfacing, or any interim treatment, made  
4 sense in advance of either HIR or resurfacing and  
5 therefore it seemed like a waste of taxpayer  
6 dollars.

7 The meeting to discuss the  
8 rehabilitation strategy for the Red Hill was  
9 scheduled for March 9, and this the meeting at  
10 which Dr. Uzarowski's evidence is that he  
11 presented the findings from the 2017 pavement  
12 evaluation.

13 In preparation for the meeting  
14 Dr. Uzarowski took -- created detailed notes, and  
15 he did so because he understood that Mr. Moore was  
16 keen on doing HIR of the surface and he had to  
17 deliver the likely unwelcome opinion that it might  
18 not be technically feasible.

19 Dr. Uzarowski brought a  
20 hardcopy of the results from the 2017 pavement  
21 evaluation and that it took -- that was a hardcopy  
22 of the PSV testing, and he took a detailed record  
23 of the results from the British pendulum testing.  
24 There's a great deal of divergence in what people  
25 recall of that meeting. Of the attendees,

1 Dr. Uzarowski and Mr. Mike Becke took  
2 contemporaneous notes. Dr. Uzarowski also  
3 memorialized his recollection in an internal  
4 memorandum written on March 14, and the  
5 preparation notes that he prepared set out the  
6 options for the Red Hill of using a mill and  
7 overlay or HIR.

8 Dr. Uzarowski's evidence of  
9 his presentation on what was said is as follows:  
10 The measured texture of the surface tested using  
11 the sand patch showed that the macro texture was  
12 good. Just to telegraph forward, that testing is  
13 duplicated in the spring of 2019 by ARA and also  
14 shows the macrotexture texture was good, a finding  
15 with which Dr. Flintsch agrees.

16 Dr. Uzarowski's evidence is  
17 that the British pendulum test was very variable.  
18 He considered that was because of the weather  
19 conditions during the testing and he described the  
20 findings from the BPT as unreliable. Again, a  
21 finding with which Dr. Flintsch agrees.

22 Mr. Moore's response recorded  
23 by Dr. Uzarowski in his notes were that the  
24 results were inconclusive. And I note the word  
25 because it becomes a refrain repeated for all --

1 the description of all future testing by  
2 Mr. Moore, but also by Mr. Becke and Mr. Oddi.  
3 Mr. Beck's evidence he didn't recall receiving the  
4 results of the BPT but recalls hearing that the  
5 testing was inconclusive.

6 Mr. Oddi's evidence is  
7 consistent that he recalls Mr. Moore describing  
8 the friction numbers as inconclusive. Because he  
9 did not consider the BPT data to be reliable,  
10 Dr. Uzarowski also presented the summary of the  
11 2007 and 2013 friction testing results conducted  
12 by MTO and Tradewind respectively. Although none  
13 of the Hamilton witnesses recalled Tradewind being  
14 specifically identified by name, Mr. Becke  
15 recorded in his notes, and I quote, concerns with  
16 friction numbers. Neither Mr. Oddi nor anyone  
17 recall a discussion about frictional  
18 characteristics.

19 Dr. Uzarowski presented the  
20 results in the PSV testing of the aggregate  
21 removed from the in service asphalt which had a  
22 PSV value of 45. He characterized it as medium,  
23 and his notes record his view that it was somewhat  
24 risky to reuse it in the surface course.  
25 Dr. Uzarowski relates that the contractor who they

1 were -- had been communicating with who had the  
2 experience with HIR, Mr. Wiley, Dr. Uzarowski  
3 reported that Mr. Wiley had not done HIR of SMA  
4 and did not want to do it on the Red Hill because  
5 it was a main road.

6 Dr. Uzarowski also relayed  
7 that the MTO guidelines did not allow HIR of a  
8 stone mastic asphalt and he repeated his concerns  
9 about using it as a technique.

10 The Hamilton witnesses don't  
11 specifically recall a discussion about PSV  
12 testing, but Mr. Becke's notes indicate that he  
13 understood or at least understood at the time that  
14 the consequence of the PSV testing meant that  
15 there would have to be a change in addition of  
16 aggregates to the mix adding beneficiating mix and  
17 the HIR process would change the SMA and that the  
18 gradation and the aggregate may change.

19 So in other words, although  
20 he's not recalling the specific discussion about  
21 PSV, he is recording what he understood the  
22 consequence, which is you would have to  
23 significantly change the existing aggregate in  
24 order to have an HIR that would meet an acceptable  
25 standard.

1                                   And Dr. Uzarowski's notes  
2    record that if he said if HIR used he recommended  
3    microsurfacing to address the possible HIR  
4    resulted in inconsistencies, and most of the  
5    witnesses confirm that Mr. Moore said no to  
6    microsurfacing. Mr. Oddi confirmed that Mr. Moore  
7    dismissed the idea. And again at the time  
8    Dr. Uzarowski was unaware that the 2014 Golder  
9    report and the appended Tradewind report had not  
10   been shared with anyone at City staff.

11                                  Dr. Uzarowski's notes of  
12   March 9 record his question what to do with the  
13   test results PSV. Dr. Uzarowski sent a follow-up  
14   e-mail to Mr. Becke on March 15 requesting a call  
15   relating to the Red Hill Valley Parkway and his  
16   notes of the same day record details of the  
17   conversation with Mike Becke. The note entry  
18   includes test results, leave them.

19                                  Dr. Uzarowski's evidence was  
20   that his understanding of the outcome of the  
21   discussion with Mr. Becke was that Golder would  
22   not repeat the BPT testing and the City did not  
23   require a formal report on the 2017 pavement  
24   evaluation, recognizing that the PSV testing was  
25   to be incorporated into whatever the -- into their

1 analysis for the 2018 -- what became the 2018 HIR  
2 suitability study.

3 Dr. Uzarowski's evidence is  
4 that he was first asked to prepare a final report  
5 for the 2017 pavement evaluation by Mr. McGuire on  
6 November 29, 2018.

7 There is a meeting on  
8 December 18 with -- between Dr. Uzarowski and  
9 Mr. Moore, who is the new director of engineering,  
10 and Dr. Uzarowski's evidence is that he provided  
11 Mr. McGuire with the historic information about  
12 the paving friction testing records and  
13 recommendations that Golder had provided.  
14 Delivered a hard copy of the draft 2017 pavement  
15 evaluation, and Dr. Uzarowski's evidence is that  
16 this is first time he was made aware the Golder  
17 report and the appended Tradewind report had not  
18 previously been shared internally at the City and  
19 that Mr. McGuire had found them recently. It was  
20 also the first time he was informed of CIMA's  
21 engagement by the City to provide road safety  
22 consulting advice and that CIMA had been advising  
23 the City about safety aspects and collisions,  
24 including speed.

25 Golder submitted the final



1 version of the 2017 pavement evaluation to the  
2 City on March 1. From the time when it was  
3 requested on November 29, 2018 to the first draft  
4 on December 18 and when it was delivered on  
5 March 1 reflected Mr. McGuire's repeated follow-up  
6 questions, further research that was required of  
7 the consequence, the involvement and back and  
8 forth with Hamilton's auditor and Golder's own  
9 internal scrutiny in risk management as it became  
10 increasingly apparent that the City was looking  
11 for reasons to blame Golder for its own failure to  
12 action any of the Golder and Tradewind's findings,  
13 analysis or recommendations.

14 Golder continues in summer  
15 of 2018 with the hot in-place recycling  
16 engagement. Following the meeting of March 9,  
17 Dr. Uzarowski had a follow-up discussion with  
18 Mr. Wiley who is the paving contractor in BC who  
19 has done the -- has significant experience with  
20 HIR, and he discusses again the feasibility of  
21 using HIR on the stone mastic asphalt. At this  
22 point Mr. Wiley seems to have contemplated that it  
23 might be possible.

24 On March 15, 2018  
25 Dr. Uzarowski further reported to Mr. Moore on his

1 discussions with Mr. Wiley, stating that Mr. Wiley  
2 is now in agreement to carry out this project.

3                                   On May 14, 2018 Dr. Uzarowski  
4 attended a meeting at the City to discuss the  
5 feasibility of HIR on the Red Hill. Mr. Becke  
6 sent a calendar invitation to a number of people  
7 entitled "Testing Red Hill Valley Repaving HIR"  
8 and noted the reason for the meeting was to get  
9 sampling going.

10                                   Dr. Uzarowski's notes of the  
11 meeting record that amongst other things, sampling  
12 on the Red Hill to assess feasibility was  
13 discussed, and his evidence is that again he  
14 raised again his recommendation to conduct shot  
15 blasting as an interim measure leading up to the  
16 resurfacing of the Red Hill so as to improve  
17 frictional characteristics of the pavement, and  
18 his evidence is again that Mr. Oddi and Mr. Becke  
19 dismiss this recommendation.

20                                   And here we've got in the  
21 summer Golder was on site sampling -- taking large  
22 samples of surface course of the Red Hill in order  
23 to carry out the sampling necessary for the HIR  
24 engagement, and the evidence is that there was  
25 discussion between Dr. Vimy Henderson and Mr. Mike

1    Becke.  Dr. Henderson doesn't particularly  
2    remember the exchange, but it appears that as a  
3    consequence Dr. Uzarowski e-mailed the Tradewind  
4    report to Mr. Becke on August 27, 2018, noting "as  
5    requested."

6                                Mr. Becke's evidence was that  
7    he raised with Dr. Henderson that all he had heard  
8    was that the results were inconclusive.  And Dr.  
9    Henderson asked "have you seen the report," and in  
10   response to Mr. Becke saying he hadn't,  
11   Dr. Henderson said "we'll send it to you."

12                              On October 18, 2018 there's an  
13   informal meeting with Mr. Becke at which  
14   Dr. Uzarowski presented him with hard copies of  
15   the initial gradation results for the HIR  
16   suitability study, and Dr. Uzarowski offered his  
17   preliminary opinion that although hot in-place  
18   recycling of the stone mastic asphalt was likely  
19   theoretically possible, it would be extremely  
20   difficult and expensive to implement on the Red  
21   Hill.

22                              In response Mr. Becke conveyed  
23   that the City had already decided not to use HIR  
24   to resurface the Red Hill, but to repave it.  
25   Nonetheless, Mr. Becke instructed Golder to

1 continue its evaluation of the suitability of HIR  
2 and deliver its reports.

3 Dr. Uzarowski delivered a  
4 draft of the HIR suitability study including  
5 laboratory results on December 21, 2018, and the  
6 final report was delivered to the City on  
7 March 11, 2019. The report concluded that while  
8 hot in-place recycling of stone mastic asphalt was  
9 theoretically possible, it necessitated the use of  
10 a significant amount of beneficiating mix which  
11 would result in substantial cost increase compared  
12 to conventional resurfacing. In other words, it's  
13 not cost efficient.

14 Commissioner, I'm about to go  
15 into the second part of the summary so I'm  
16 wondering if it would now be an appropriate moment  
17 to take our 15-minute morning break so I can have  
18 a glass of water.

19 JUSTICE WILTON-SIEGEL: That  
20 would be fine. How much time do you think you  
21 will require for the second part?

22 MS. JENNIFER ROBERTS: I will  
23 be under an hour, I think, subject to your  
24 questions, but I think I will move this along.

25 JUSTICE WILTON-SIEGEL: And

1 then let's take an hour and we'll return at 11:00  
2 o'clock.

3 MS. JENNIFER ROBERTS: Thank  
4 you.

5 --- Recess taken at 10:43 a.m.

6 --- Upon resuming at 11:00 a.m.

7 MS. JENNIFER ROBERTS: May I  
8 begin?

9 JUSTICE WILTON-SIEGEL: Yes,  
10 please do.

11 MS. JENNIFER ROBERTS: So the  
12 next part of my submissions are the second part of  
13 summarizing some of the findings, and I will try  
14 and not repeat what I have addressed earlier.

15 So first of all, one of the  
16 explicit objectives in choosing to use SMA asphalt  
17 was we anticipated that it would provide good and  
18 enduring frictional performance. And as we know,  
19 whether an asphalt does in fact provide good  
20 frictional performance largely depends on the  
21 characteristics of the aggregates within the mix,  
22 and to this end, much of the verification process  
23 for the asphalt mix proposed by Dufferin focused  
24 on the characteristics of the aggregates. I'm not  
25 going to go back to it except to note that



1                   As observed by Dr. Flintsch,  
2   the surface friction of the Red Hill in  
3   September 2019 after resurfacing was only slightly  
4   higher, between 40 and 44; those are the values  
5   measured by ARA in September of 29.

6                   MTO continued to conduct  
7   friction testing of the Red Hill from 2008 to 2014  
8   as part of the verification characteristics of the  
9   aggregates, which was included in the MTO's DSM  
10  list for aggregate appropriate for high speed,  
11  high volume roads in 2009. The MTO evidence is  
12  that friction stabilized at averages around FN31  
13  to 33.

14                  They observed -- Mr. Gorman  
15  observed that he had hoped it would have  
16  stabilized at 35, but it stabilized above 30,  
17  between 31 and 33 as I said, and was therefore  
18  considered acceptable for the MTO or its continued  
19  placement on the DSM list, remembering, as I'm  
20  sure you're going to hear from the MTO witness,  
21  that they are looking at friction alone without  
22  knowledge of anything that's happening on the Red  
23  Hill.

24                  Dr. Uzarowski's evidence was  
25  that he was not aware that the MTO continued to

1 (skipped audio) from 2008 and 2014 until 2019.

2 And there's one odd piece of evidence that I'm  
3 going to cover off. It's in relation to MTO  
4 testing of the Red Hill in 2010.

5 The testing in 2010 was  
6 conducted at a hundred kilometres per hour and not  
7 90 and the results were therefore anomalous  
8 because of the test speed, which the MTO  
9 ultimately realized and corrected.

10 But the result of the anomaly  
11 was that there was an apparent drop in the  
12 friction results. And Ms. Lane -- Becca Lane of  
13 the MTO, when she testified she said she would  
14 contact Dr. Uzarowski to obtain a contact for the  
15 City to discuss the results. And Dr. Uzarowski  
16 indeed had a note of November 15, 2010, which  
17 recorded Becca Lane, 2007 friction on RHVP, which  
18 corroborates that she did in fact reach out to  
19 him.

20 Now, his evidence was that he  
21 would have given Ms. Lane Mr. Gary Moore's phone  
22 number had he been asked for a contact, but  
23 neither he nor Ms. Lane recalled any detail of the  
24 phone call and specifically neither recall  
25 discussing the MTO's ongoing friction testing of



1 the Red Hill.

2 Dr. Uzarowski thought from his  
3 note that they likely discussed the early age low  
4 friction issue which was still very current in  
5 November of 2010, and Ms. Lane's evidence was that  
6 if she said she would contact the City she would  
7 have, but she's got no record and no clear  
8 recollection of a conversation with Mr. Moore.  
9 Mr. Moore has no recollection of being contacted  
10 by Ms. Lane.

11 Had Ms. Lane advised  
12 Dr. Uzarowski that the MTO continued to test and  
13 conduct friction testing on the Red Hill, I am  
14 completely positive there would be a note  
15 recording that, and there's not such a note and no  
16 evidence that Ms. Lane told Dr. Uzarowski that the  
17 MTO continued to test.

18 JUSTICE WILTON-SIEGEL: So  
19 what do you think I should take of that?

20 MS. JENNIFER ROBERTS: It's  
21 intriguing but it doesn't go anywhere.

22 JUSTICE WILTON-SIEGEL: Yeah.

23 MS. JENNIFER ROBERTS: I sort  
24 of categorize it in my head as one of the many  
25 possible opportunities that was missed, right, and

1 there are any number here.

2 I've talked about the  
3 Tradewind friction testing and their finding that  
4 the results were generally below or well below the  
5 UK reference investigatory level. Both  
6 Dr. Uzarowski and Dr. Flintsch agree that those  
7 test results showed that the friction values on  
8 the Red Hill were relatively low.

9 Friction testing was conducted  
10 by ARA in May of 2019 using a locked wheel tester  
11 and by Englobe using a grip tester, and the  
12 evaluation of the ARA testing allows us to  
13 evaluate whether friction continued to decline or  
14 levelled off. And I asked Ms. Becca Lane  
15 specifically to address the testing conducted by  
16 ARA and she confirmed her view that the friction  
17 on the Red Hill had levelled off by 2014 and  
18 didn't decline further.

19 Ms. Lane's findings that the  
20 friction level levelled off around 2014 was agreed  
21 by Dr. Flintsch as well as by Mr. Hein. Dr.  
22 Flintsch cross-referenced the ARA data with  
23 testing conducted by Englobe using their grip  
24 tester in May of 2019 and Dr. Flintsch remained of  
25 the view that the ARA and Englobe testing showed

1 the frictional characteristics of the road surface  
2 were relatively low.

3 Mr. Hein disagrees. His view  
4 is that the deviations -- that he relies on the  
5 MTO practice for further investigation using what  
6 he describes as the guideline of FN30, and noted  
7 that the deviations -- the word deviations below  
8 30 but considered them minor and inconsequential.  
9 And he stated:

10 "I have conducted friction  
11 testing results on various highways and have seen  
12 friction values for other highways in Ontario  
13 throughout my career. The RHVP friction test  
14 results are consistent on average for its age and  
15 are consistent with friction results I have  
16 previously seen on other highways."

17 And he did not agree with  
18 Dr. Uzarowski and Dr. Flintsch that the test  
19 results were relatively low incident but they were  
20 acceptable, applying the MTO's practice for  
21 evaluation.

22 The other testing I note is  
23 the 2017 pave and evaluation included the testing  
24 for macrotexture and that came back as showing  
25 good macrotexture, a finding that, as I said, was

1 confirmed by ARA's testing and agreed by  
2 Dr. Flintsch when he evaluated the test results.

3 And the point here, sir,  
4 that -- Commissioner, that I think warrants  
5 emphasis is that we've got testing that by --  
6 in the opinion of the commission's expert  
7 Dr. Flintsch and Golder's pavement expert  
8 Dr. Uzarowski showed that friction was relatively  
9 low, but no one reviewing the results of friction  
10 testing on the Red Hill, not Dr. Uzarowski, not  
11 Ms. Lane, Ms. Senior, Dr. Flintsch, not Mr. Hein,  
12 identified the friction results as alarming or red  
13 flag, and this is categorically not a circumstance  
14 where friction by itself might be so low as to  
15 create a hazard.

16 I want to address the  
17 recommendations made by Golder to the City, and in  
18 doing so, at the outset, let me address some of  
19 the recommendations in the CIMA findings.

20 You raised the point yesterday  
21 that I would like to come back to. Golder wasn't  
22 aware of the CIMA investigations and the findings,  
23 and we know that they deliver reports in 2013 and  
24 2015. In 2015 report they evaluated the entire  
25 length of the Red Hill.

1                   And you raised the point  
2    yesterday and you said that Mr. Moore when he  
3    reviewed the draft 2015 CIMA report did not  
4    correct the design speed theorized in that 2015  
5    report. And you'll remember that CIMA deduced  
6    what the design speed was for the Red Hill by  
7    relying on the usual standard that it would be 20  
8    kilometres more than the posted speed. And in  
9    fact that's not correct, that the posted speed was  
10   10 kilometres higher than the design speed and the  
11   design speed was from the outset 100 kilometres  
12   per hour, and that's clear from the preliminary  
13   design report and the revision in all of the  
14   internal design records going back to the early  
15   2000s.

16                   In fact, it's more than just  
17   the design speed wasn't provided by Mr. Moore.  
18   CIMA also wasn't provided the drawings and they  
19   didn't receive them until November of 2018 in  
20   preparation for the roadside safety assessment,  
21   and that's the first time that they know how tight  
22   the radius of the turns are. And I point it out  
23   because in reviewing the 2015 CIMA report you'll  
24   see that they speculate that the tightest turn is  
25   525 metres, which is not the case. The tightest

1 one is 430 metres, which was the very edge of what  
2 was recommended in the MTO 20 -- 1985 design  
3 guide.

4 And there's a particularly --  
5 and the other thing that they don't know because  
6 they don't have the drawings is they don't have --  
7 actually they don't have the distances between the  
8 interchanges and they don't have the design for  
9 the weaving lanes. And one of the things that  
10 CIMA observes in its report is that they are  
11 observing that the behaviour of people getting on  
12 and off Red Hill is somewhat aggressive merging,  
13 and they write this may be due to a potential  
14 perception by drivers that some acceleration lanes  
15 along the Red Hill are too short and may  
16 contribute to sideswipe and single motor vehicle  
17 collisions.

18 Well, it's not just a  
19 perception that they are too tight, they are too  
20 tight. And I suggest to you that if CIMA had had  
21 that information in 2015 that would have been very  
22 helpful.

23 And the other piece of  
24 information of course that they are not provided  
25 but exists in 2015 is the Tradewind friction data,

1 and the findings by that friction expert and the  
2 findings of Golder's pavement expert that friction  
3 is in the standard applied by Dr. Uzarowski  
4 relatively low.

5 I'm going to address the  
6 recommendations in the various reports.

7 First of all, the Golder  
8 report, as you know, recommends the milling and  
9 overlay, crack sealing, and the application of  
10 microsurfacing to address the relatively low  
11 friction.

12 JUSTICE WILTON-SIEGEL: I  
13 wouldn't have put it in those terms.

14 MS. JENNIFER ROBERTS: Sorry?  
15 Did I misstate it?

16 JUSTICE WILTON-SIEGEL: Well,  
17 I mean, I think the focus of those reports is  
18 pavement rehabilitation.

19 MS. JENNIFER ROBERTS: Yes, I  
20 agree.

21 JUSTICE WILTON-SIEGEL: And  
22 incidentally, the recommendations will address any  
23 concerns for friction.

24 MS. JENNIFER ROBERTS: Right.  
25 And also I think the words Dr. Uzarowski used, it

1 will also address the relatively low friction.

2 JUSTICE WILTON-SIEGEL: Right.

3 I was just suggesting that to say microsurfacing  
4 was directed at friction is I think overstating  
5 the intention.

6 MS. JENNIFER ROBERTS: You're  
7 quite right.

8 JUSTICE WILTON-SIEGEL: The  
9 focus.

10 MS. JENNIFER ROBERTS: It is  
11 primarily to deal with the pavement preservation  
12 and also address the Tradewind finding.

13 Dr. Uzarowski is covering his  
14 own recommendations in terms of his finding of the  
15 pavement condition, but also the findings from the  
16 friction expert who is saying that they know by  
17 their evaluation that it's low or well below the  
18 standard. Now, Dr. Uzarowski doesn't agree with  
19 that -- with that evaluation, but concludes it's  
20 relatively low and so his recommendation addresses  
21 both problems.

22 Dr. Flintsch, when he reviews  
23 the recommendation about pavement, and this  
24 perhaps goes to your point because Dr. Flintsch  
25 then is evaluating that recommendation in



1 isolation from whether it's appropriate to deal  
2 with the pavement condition. But the point is I  
3 think an important one to make, that Dr. Flintsch  
4 agrees that the combination of resurfacing in some  
5 areas and microsurfacing would have addressed the  
6 low friction issue at that time.

7                               So let's apply some --  
8 contemplate that that work had been done as it was  
9 originally programmed by Mr. Andoga in 2016 we  
10 might not be here, frankly, or we wouldn't be  
11 here.

12                               Golder's advice to use  
13 microsurfacing as a method to improve frictional  
14 characteristics was consistent with the  
15 recommendations in the PMTO reports, but it's also  
16 consistent with Stantec's recommendations in its  
17 2007 sustainability plan.

18                               It describes, in sample,  
19 preventative techniques, includes a description  
20 from microsurfacing, and Stantec notes that  
21 generally microsurfacing has been used on moderate  
22 to heavy volume roads to improve surface  
23 frictional characteristics to fill -- and fill  
24 wheel ruts. It also has been used to address  
25 pavement distresses such as ravelling, brushing

1 and to a certain extent to seal surface cracks.

2 (Skipped audio) advice to use  
3 microsurfacing to address the surface condition of  
4 the pavement was also agreed by Miller Paving.  
5 Although Miller does not address microsurfacing as  
6 a treatment to improve frictional characteristics  
7 it was certainly their view that it would have  
8 been appropriate to address the pavement surface  
9 condition of the Red Hill provided  
10 pre-construction repairs were made.

11 JUSTICE WILTON-SIEGEL: I take  
12 it the pre-construction repairs that they are  
13 referring to was routing and sealing of cracks.

14 MS. JENNIFER ROBERTS: We  
15 don't have detail of what they considered but they  
16 certainly thought that cracks needed to be sealed.

17 JUSTICE WILTON-SIEGEL: Some  
18 kind of sealant treatment.

19 MS. JENNIFER ROBERTS: Yes.  
20 And we know because of the inertial pavement study  
21 and the plotting that Golder did that at least  
22 Mr. Moore at some point was contemplating specific  
23 repairs of the surface, which is more than routing  
24 and sealing. That's mill and overlay.

25 We've got a series of

1 recommendations about using a shot blasting and  
2 skidabrading. Dr. Uzarowski's notes record and  
3 his discussion of the friction testing of the  
4 system were on February 7. His evidence,  
5 corroborated by his notes, was that if the City  
6 was not prepared to that use microsurfacing they  
7 could -- they should consider the use of blasting  
8 technique which would at least temporarily improve  
9 frictional characteristics. That's the first  
10 instance in which Dr. Uzarowski recommended shot  
11 blasting as a technique.

12 JUSTICE WILTON-SIEGEL: Sorry,  
13 which date are you referring to there?

14 MS. JENNIFER ROBERTS: That's  
15 February 7. That's when Dr. Uzarowski is  
16 presenting the Golder report to Mr. Moore, and his  
17 recommendation is to microsurface, but if that's  
18 not acceptable then at least use shot blasting to  
19 improve the frictional performance.

20 The next discussion that is  
21 had is March 4, and this is when Dr. Uzarowski  
22 presents the findings from the inertial profile  
23 testing.

24 JUSTICE WILTON-SIEGEL: That's  
25 2010.

1 MS. JENNIFER ROBERTS: '16.

2 JUSTICE WILTON-SIEGEL: '16.

3 MS. JENNIFER ROBERTS: At this

4 meeting Golder's evidence is that it again

5 provided information as to how to improve the

6 pavement characteristics, including friction, and

7 again recommended microsurfacing. And

8 Dr. Uzarowski's evidence, corroborated by his

9 notes, he also recommended blasting, meeting.

10 This I find one of the

11 interesting moments in the chronology because it's

12 quite clear at the end of that meeting that

13 Dr. Uzarowski goes out and goes digging into the

14 question of, you know, what would it cost to use

15 shot blasting or another treatment like

16 skidabrading. He goes out and gets quotes. And

17 there's a back and forth between Dr. Uzarowski and

18 Mr. Moore in an e-mail exchange of March 15 and

19 Dr. Uzarowski provides the quotation for

20 skidabrading with just 300-and-something thousand.

21 And it's clear there's some initial confusion that

22 Mr. Moore seems to have misunderstood what was

23 being provided as a quotation for the friction

24 testing. Dr. Uzarowski clarifies that that's --

25 and says -- suggests that's too much money and he

1 suggests further friction testing could be done  
2 and then at least the worst areas selectively  
3 treated.

4 Mr. Moore's emphatic in his  
5 response. He says he's never heard of that  
6 technology and won't address the surface  
7 distresses and he's not -- does not think that  
8 they are interested. In other words, in response  
9 to the written communication providing a mechanism  
10 for how to improve frictional characteristics on  
11 the Red Hill, Mr. Moore conveys that Hamilton is  
12 not interested.

13 In his report Dr. Flintsch --  
14 JUSTICE WILTON-SIEGEL: I  
15 think maybe that's overstating it. I think he's  
16 now saying this does nothing to improve the  
17 pavement surface issues that he's concerned about.

18 MS. JENNIFER ROBERTS: Agreed,  
19 it does. But I think it's clear he's not  
20 interested in treating just friction. That's how  
21 I take it.

22 JUSTICE WILTON-SIEGEL: Okay.

23 MS. JENNIFER ROBERTS: And  
24 I'll come back to it because there's more evidence  
25 on that part of his testimony.

1                   In his report Dr. Flintsch  
2   agreed that shot blasting could be a good short  
3   term solution to address low friction, and  
4   Dr. Flintsch also considered the recommendation  
5   use shot blasting raised in 2018 that point  
6   resurfacing was contemplated and was a better long  
7   term solution.

8                   And in the assumed facts  
9   Dr. Flintsch was asked about the application of  
10   shot blasting in 2018. And the point I wish to  
11   make is the recommendation was made in writing in  
12   2016, and in cross-examination Dr. Flintsch  
13   acknowledged that it could have been used in 2016  
14   and would have temporarily improved the frictional  
15   characteristics of the surface pending  
16   resurfacing.

17                  Mr. Hein in his testimony  
18   asserted that shot blasting doesn't last very  
19   long, and I don't think there's great evidence on  
20   that because he also acknowledged that it was used  
21   by airports and would be used to last a year or  
22   so. So I think this incomplete evidence on that  
23   exactly how long it would last, and I'm sure that  
24   that depends on what treatment is used and the  
25   surface of the Red Hill. And I would comment only

1 is that that investigation as to whether shot  
2 blasting could have been a cost-effective interim  
3 solution pending resurfacing was never discussed  
4 internally by the City. It was refused. Not  
5 until 2018 at least.

6 In January of 2018  
7 Dr. Uzarowski was first alerted by Mr. Hein to the  
8 fatalities. And this information comes a little  
9 bit more after than a month after Golder staff has  
10 witnessed first hand collisions on the Red Hill.  
11 And it is the case, Commissioner, that thereafter  
12 at virtually every meeting Dr. Uzarowski has with  
13 City staff he recommended shot blasting or  
14 skidabrading improve frictional characteristics of  
15 the surface pending resurfacing. His evidence is  
16 at February 23 he raised it, and this is the first  
17 instance at which Dr. Uzarowski recalled that he  
18 was told the City would not use the technique  
19 because it would be taken as an admission that  
20 friction was a concern.

21 And then again in the meeting  
22 of March 9, 2018 when Dr. Uzarowski is presenting  
23 the findings from the 2017 pavement evaluation.  
24 His evidence is at the end of the meeting he again  
25 proposed consideration of shot blasting or

1 skidabrading for now, and he was told no. And his  
2 note records no public.

3 In a meeting scheduled for  
4 May 4 to discuss the HIR of the Red Hill  
5 Dr. Uzarowski's notes include pavement condition  
6 blasting no.

7 Golder's recommendation in  
8 writing to rehabilitate portions of the Red Hill  
9 using microsurfacing as a preservation technique  
10 and to improve the relatively low friction weren't  
11 taken. Dr. Uzarowski's finding that friction was  
12 relatively low were not shared within the City and  
13 not shared with the City's road safety consultant  
14 CIMA.

15 Dr. Uzarowski's evidence given  
16 in writing to Mr. Moore on March 15 to use shot  
17 blasting or skidabraiding improve the frictional  
18 characteristics of the surface was not taken. His  
19 advice to use shot blasting or skidabrading was  
20 verbally reported in 2018 on at least three  
21 occasions.

22 Dr. Uzarowski is a pavement  
23 and materials engineer. He is not a road safety  
24 consultant. His opinion was the friction numbers  
25 on the Red Hill were relatively low and he



1 provided solutions how to improve the frictional  
2 performance. Certainly reporting the friction  
3 findings internally within the City in 2014 would  
4 have focused scrutiny on friction and would have  
5 allowed for a more thoughtful response. We do not  
6 know what CIMA would have contemplated had they  
7 had the opportunity to review the Tradewind report  
8 in 2014, 2015.

9                   Some insight might be found  
10 in CIMA's memorandum of February 4, 2019. It  
11 reports their views that the friction findings  
12 obtained by Tradewind were above the designed  
13 parameters that were used on the road design for  
14 stopping distance and horizontal curve design.  
15 CIMA observed in that memorandum that friction  
16 measurements that are at investigatory levels are  
17 in no way definitive indication that the location  
18 is unsafe, and CIMA considered that further  
19 investigation of conditions weren't needed.

20                   What just is abundantly  
21 obvious is that if they had the opportunity to  
22 review the Golder and Tradewind reports they would  
23 not have ignored them.

24                   I note in his conclusion of  
25 Dr. Flintsch's analysis of friction he observes

1 that -- says:

2 "In conclusion it's my view  
3 that the very high percentage of collisions during  
4 wet conditions combined the friction test results  
5 in the Tradewind report as well as the MTO  
6 measurements was an indication that the relatively  
7 low friction contributed to those collisions,  
8 together with excess speeds and the geometry of  
9 the freeway which give rise to an elevated  
10 friction demand and, thus, collectively supported  
11 the previous stated need for detailed safety  
12 analysis. It could have resulted in a decision to  
13 apply a treatment to improve the frictional  
14 properties of the pavement surface such as  
15 resurfacing or microsurfacing."

16 What is obvious in hindsight  
17 is that the Tradewind data and Dr. Uzarowski's  
18 recommendations for techniques that could have  
19 been used to improve frictional characteristics  
20 should have been shared within the City and with  
21 CIMA. The city would have had far more  
22 information about frictional characteristics and a  
23 whole different set of tools to improve them.

24 Among the many opportunities  
25 lost, the City and CIMA could have considered the

1 selective application of the technique to improve  
2 frictional characteristics for at least the middle  
3 section of the Red Hill in locations where by 2015  
4 CIMA expressly knew that there were densely  
5 located and disproportionate number of wet weather  
6 collisions. As Dr. Uzarowski stated in his  
7 testimony, it would not have hurt and it might  
8 have helped.

9 I'm going to address through  
10 the evidence of -- the exchanges between  
11 Dr. Uzarowski and Mr. Moore what was done with the  
12 Golder report.

13 Certainly Golder reported  
14 their findings and recommendations to a senior  
15 level within the City and reasonably expected that  
16 they would have been assessed and implemented as  
17 the City considered appropriate.

18 We know that Mr. Moore  
19 understood Golder's advice in relation to  
20 rehabilitation preservation of the asphalt. There  
21 were three aspects to that; the mill and overlay,  
22 routing and sealing and the microsurfacing.

23 In relation to the mill and  
24 overlay, Mr. Moore considered that it was not a  
25 surprising recommendation inconsistent with what

1 he had expected, and then in his evidence he noted  
2 that the importance of sealing the top so you  
3 don't have to rebuild the rich bottom mix layer.

4                   As I indicated in my earlier  
5 submissions, it seems that some of Golder's  
6 submissions seem to percolate through into the  
7 contemplated 2016 pavement evaluation. It's  
8 intriguing, although I agree with you Commissioner  
9 I'm not sure that they are not two solitudes  
10 proceeding. Although, as I said, I do think it's  
11 the case that some of the findings that Golder  
12 made are being reported to Mr. Andoga.

13                   It's not expressed in  
14 contemporaneous correspondence, but Mr. Moore's  
15 evidence was that he disagreed with Golder's  
16 recommendations to use microsurfacing. As I said  
17 earlier, he testified that the City had a poor  
18 experience with it. He did not specifically  
19 recall the discussion but he said at some point he  
20 would have made it clear that microsurfacing was  
21 not something that they would consider. So  
22 there's no ambiguity that Mr. Moore knew what  
23 microsurfacing was and what it did. He was  
24 emphatic and he didn't agree with the advice.

25                   An intriguing piece in the

1 evidence is what Mr. Moore took away from the  
2 friction testing data and Dr. Uzarowski's analysis  
3 of it.

4 In his testimony Mr. Moore  
5 said that he had no knowledge and had never heard  
6 of the UK reference standard for an investigatory  
7 level and didn't know how it applied and didn't  
8 understand how the friction numbers could have  
9 been good in 2007 after paving and then they  
10 weren't good. He thought it made no sense, he  
11 said. He said that until the friction results  
12 could be explained he was not going to expend any  
13 funds or take any action.

14 And this theme of -- this  
15 being uncertain -- and he later describes it as  
16 inconclusive -- becomes a reason, a justification  
17 for why the friction data is not reported  
18 internally.

19 Dr. Uzarowski's evidence was  
20 that Mr. Moore didn't raise any questions about  
21 Tradewind's findings or his analysis of them when  
22 he sent the Golder report or when they met on  
23 February 7. And further we've got -- as I said  
24 earlier, we've got Mr. Moore's evidence that when  
25 he's commenting on the 2015 CIMA report and

1 deletes the entirety of the friction testing  
2 section, his view is that there's no basis,  
3 nothing to compare friction testing to and no  
4 agency, including the MTO, doing this. And he  
5 doesn't think the testing means anything except  
6 proving potential exposure.

7                                   There's no record that  
8 Mr. Moore raised any question about the Tradewind  
9 data until December 17, 2015, and then that's only  
10 after CIMA had recommended friction testing on the  
11 Red Hill in the 2015 CIMA report. And Mr. Moore  
12 had asked on August 7, do you have a performance  
13 specification and are there -- are the values used  
14 the same methodology and are they comparable.

15                                   JUSTICE WILTON-SIEGEL: I'm  
16 getting a little lost here. Are you working from  
17 particular paragraphs in your submission?

18                                   MS. JENNIFER ROBERTS: I've  
19 tried to summarize what is in my submission so  
20 because I thought --

21                                   JUSTICE WILTON-SIEGEL: I'm  
22 trying to put together a few different things, and  
23 I'm not sure how you put them together.

24                                   There's the discussion with  
25 Mr. Malone which seems to be to the effect that

1 there is testing, that the testing is comparable,  
2 but he's not going to say what the standard is  
3 because he thinks there's some liability concerns  
4 associated with that, and Mr. Malone is told to  
5 keep these numbers to himself.

6 Then there's the statement in  
7 October which is get rid of this section on  
8 testing because there is no standard.

9 And then there is the  
10 discussion in the public works committee which is,  
11 we have this testing, both in 2007 and 2012-13,  
12 and it's reliable and it shows the highways  
13 performing very well.

14 And then we have the  
15 discussion that arises out of his sending the  
16 summary information to Dr. Uzarowski in the middle  
17 -- starts in the middle of December after that PWC  
18 meeting in which the question of viable standard  
19 or reliable standard exists, and he's eventually  
20 told there isn't any way of correlating this UK  
21 standard to the MTO testing.

22 How do you put all of that  
23 together? Or do you?

24 MS. JENNIFER ROBERTS: I have  
25 a very hard time doing that and I'm grateful it's

1 not me trying to make findings of fact or  
2 credibility on this particular section.

3 I'm interested by what  
4 Mr. Moore doesn't do, and it's clear he doesn't  
5 share what the experts say about the friction  
6 numbers. It seems as though the confusion suits  
7 him and that may be -- you know, and that may be  
8 what we take from his comments in October on the  
9 CIMA report. Because at this point we're -- 2016  
10 he's had this data for two years and he hasn't  
11 done anything with it and hasn't shared it. Is he  
12 -- I don't know, I'm speculating. Careful in  
13 fairness.

14 Let's not lose sight of an  
15 important fact and that is, and I'll come to it,  
16 Mr. Moore's view that there's no -- and I'll come  
17 to his evidence later, he says this, he doesn't  
18 think that friction is an issue. Let's not lose  
19 sight of the fact that Mr. Hein agrees with him,  
20 that friction on the Red Hill is acceptable. That  
21 would have been a valid finding.

22 But what is interesting is  
23 that he doesn't share the information internally  
24 and so it's him making that decision, and that I  
25 think is where the problem is.



1                   What I want to note is that --  
2    and I think this may be -- is responsive to your  
3    point.  There's a whole pile of sort of what I  
4    would say are after the fact justifications as to  
5    why the Tradewind report is not shared.  One, he  
6    starts with well, I was trying to get  
7    clarification for the data, and then he says he  
8    doesn't -- he never got clarification of the data,  
9    and then you'll see in the narrative that he  
10   considers that the findings were inconclusive.

11                   And later we see that the City  
12   seems to suggest that the reason why the report  
13   wasn't shared internally was because it was in  
14   draft, and that doesn't go anywhere because it's  
15   not how it was treated by Mr. Moore.

16                   So I see those as being after  
17   the fact reasons to explain, justify why the  
18   report wasn't shared.  But I do think the  
19   testimony reveals that Mr. Moore, you know, did  
20   his own evaluation and he's informed.  I think  
21   that he didn't accept Dr. Uzarowski's finding that  
22   the friction numbers on the Red Hill were  
23   relatively low and he didn't agree that there was  
24   necessary for treatment that only addressed  
25   friction.  That's implicit in his conduct but it's

1 explicit in that response of May 15, 2016.

2 In his testimony -- and this  
3 is in the context of the evidence about the  
4 March 15, 2016 e-mail exchange. In his testimony  
5 around that Mr. Moore said he did not ask  
6 Dr. Uzarowski to investigate measures that would  
7 increase the skid numbers on the Red Hill. He  
8 stated that he did not believe he ever asked for  
9 that. He explained:

10 "I don't believe I was looking  
11 in any way to address any frictional  
12 characteristics because I had no concerns with  
13 them."

14 I think that that's the tell.  
15 I think that he -- long and short, he didn't agree  
16 with the advice that the friction was relatively  
17 low and did nothing with them, not because there  
18 was any uncertainty or he was waiting for further  
19 information, but because he himself had made the  
20 decision that there were no concerns with  
21 frictional characteristics. He had the  
22 information, he understood it, and he made his own  
23 determination. But he ignored the advice of this  
24 pavement consultant and he did nothing to share  
25 that information to get the input of CIMA or

1 anybody else.

2 I just note that -- if there  
3 was any confusion about -- or he wasn't  
4 comfortable, confident with the use of the grip  
5 tester there is absolutely no reason why he  
6 couldn't have commissioned or asked MTO for  
7 friction testing to be done.

8 The discussion in March  
9 of 2016 is another -- what I would say is another  
10 missed opportunity. Like, if he didn't like the  
11 grip tester numbers he could have in the spring,  
12 not November, December, he could have asked for  
13 friction testing to be done and -- you know, if it  
14 were the case that he thought that there was or he  
15 wasn't comfortable with the grip tester numbers.

16 I'll go back to the point --  
17 and I think it's the lost opportunity. Not to  
18 have shared that information internally, not to  
19 have shared it with CIMA. We don't know what they  
20 would have done. I tend to think your point that  
21 you made yesterday that they would have looked  
22 very hard at speed much earlier than they did  
23 might have been an outcome. And as it was, that  
24 wasn't changed until early 2019.

25 I have addressed in my



1 geometry and the demand on friction.

2 JUSTICE WILTON-SIEGEL: Is  
3 another way of what you're saying that friction by  
4 itself is not sufficiently low in any of these  
5 areas to be a cause of the increased accident  
6 experience in the area, but together with the  
7 geometry which places a demand, higher demand for  
8 friction, at the levels at which friction appears  
9 to be tested, it may be a contributing factor? Is  
10 that what you're trying to say?

11 MS. JENNIFER ROBERTS: That's  
12 exactly what I'm trying to say. Friction by  
13 itself is not the primary cause of collisions on  
14 the Red Hill.

15 JUSTICE WILTON-SIEGEL: But  
16 it's the second half that I'm more interested in.

17 MS. JENNIFER ROBERTS: No, I  
18 agree and --

19 JUSTICE WILTON-SIEGEL: --  
20 areas of high friction demand where the friction  
21 levels can come into play.

22 MS. JENNIFER ROBERTS: Yes.

23 JUSTICE WILTON-SIEGEL: Okay.

24 MS. JENNIFER ROBERTS: We have  
25 included in our submissions and tried to address

1 some of the policy considerations. And I go back  
2 to a point that I've made, and that is the sharing  
3 of information between the consultants.

4 The City had retained -- City  
5 has not never in this piece lacked for  
6 sophisticated consulting advice. The narrative of  
7 the inquiry records is a who's who of preeminent  
8 engineering firms and operate in Ontario. But  
9 what didn't happen is that information from one  
10 consultant wasn't shared with another. And there  
11 would have been an opportunity for collaboration.

12 And as I said, in one of the  
13 points -- since CIMA raises it a couple times  
14 whether there would be a potential for high  
15 friction road surface. They contemplated in 2013  
16 in relation to ramp 6 and they raise it again I  
17 think in 2015. Coordination with Golder and  
18 talking about what tools were available to improve  
19 friction, one would have thought would have been  
20 fruitful, or could have been.

21 Commissioner, subject to your  
22 questions those are my submissions.

23 JUSTICE WILTON-SIEGEL: I  
24 don't have anything further. Thank you.

25 MR. LEWIS: Commissioner, the

1 MTO is up next. It's 10 to 12:00. I'm not sure  
2 what counsel wants to do in terms of jumping in or  
3 if they need any time.

4 MR. BOURRIER: I'm happy to  
5 start my submissions, if that's your preference.  
6 I don't think I'll be two hours. So I'm happy to  
7 start and see how far we get before the lunch  
8 break.

9 JUSTICE WILTON-SIEGEL: That's  
10 fine. We'll take our break at 1 o'clock as usual,  
11 unless at some stage you think it's appropriate to  
12 break a little before that.

13 MR. BOURRIER: I will let you  
14 know, Commissioner.

15 JUSTICE WILTON-SIEGEL: Thank  
16 you.

17 CLOSING SUBMISSIONS BY MR. BOURRIER:

18 MR. BOURRIER: I will be  
19 giving the oral submissions today on behalf of  
20 Ontario.

21 I'm not going to address all  
22 of the issues that concern the MTO in this  
23 inquiry. I'm going to refer to our written  
24 submissions for any supporting evidence to our  
25 fulsome arguments. I'm going to focus instead on

1 what I think are some key points to assist you in  
2 understanding our position. I propose to give my  
3 submission in four parts.

4 First, I want to look at the  
5 questions and the terms of reference that need to  
6 be answered in respect of the 2007 friction test  
7 by the MTO. First is the questions that you are  
8 tasked to answer in terms of DSM testing by the  
9 MTO from 2008 to 2014.

10 Second, I want to look at the  
11 2007 friction testing, the particular purpose of  
12 that testing and why it was conducted for a  
13 different reason from the DSM testing.

14 After that I will look at the  
15 specific facts of that testing, the 2007 testing,  
16 and explain our position that the test results  
17 were acceptable and that our dissemination of the  
18 results was appropriate in the circumstances.

19 Fourth and last, I'll look at  
20 the DSM test results and highlight -- our position  
21 is that those results were also acceptable and  
22 that our distribution of the results was  
23 appropriate in the circumstances, including what  
24 we say is an escalation of the 2010 DSM results by  
25 Ms. Becca Lane.



1                   First -- I'll just note in the  
2 terms of reference it's Roman numeral 16 to 20,  
3 there are a number of questions that you were  
4 tasked to answer that relate to what is referred  
5 to as the MTO report and the terms of reference.  
6 I'm going to refer to it as the 2007 friction  
7 results in my submissions because I think that's a  
8 more accurate description of the results.

9                   As you've seen from the  
10 evidence, the 2007 friction test results were in  
11 the form of raw skid data. They were not a formal  
12 engineering assessment with analysis.

13                   The questions that you have to  
14 look at for that 2007 friction test is with  
15 whether it provided support or rebuttal to  
16 conclusions of the Tradewind report, why were  
17 those results not provided to counsel or made  
18 publicly available, who within the Ontario's  
19 office knew about the results, did the results  
20 contain findings information that would have  
21 triggered counsel to make safety changes to the  
22 roads, and whether failure to disclose those  
23 results contributed to accidents, injuries or  
24 fatalities on the Red Hill.

25                   That's in contrast with one

1 question that you were tasked to answer in terms  
2 of the DSM results, and that's question 21 in the  
3 terms of reference, and it is, did the MTO request  
4 direct or conduct any friction tests, asphalt  
5 assessments or general road safety reviews or  
6 assessments on the Red Hill other than the 2007  
7 friction results.

8                   Now that I've situated that  
9 the two different types of tests -- it's important  
10 to keep in mind when looking at the evidence in  
11 the inquiry that MTO connects friction testing for  
12 different purposes. It's the context of the  
13 testing that informs how MTO conducts the thing  
14 and also how it reviews and assesses the friction  
15 results.

16                   Neither the 2007 friction  
17 testing or the DSM testing was conducted pursuant  
18 an internal friction request for testing.

19                   You posed a question to  
20 counsel for the City about these types of requests  
21 and I just want to highlight that that is when a  
22 region identifies an infield concern with a  
23 particular road. For example, if they notice  
24 visual abnormalities on the road.

25                   The pavement and foundation

1 section would then conduct the friction testing  
2 based on information they received from the  
3 region. For example, what location to conduct the  
4 testing on. So it is done with information  
5 already about what the MTO is looking for.

6 The 2007 testing and the DSM  
7 testing is also not network level testing. The  
8 only reason I mention MTO's network level testing  
9 is to explain why we don't have any DSM friction  
10 results for 2013 for the Demix aggregate. In 2013  
11 MTO was conducting its internal network level  
12 friction testing, and the skid trailer was being  
13 used for that purpose.

14 That brings me to the category  
15 that the 2007 friction testing by the MTO falls  
16 under.

17 JUSTICE WILTON-SIEGEL: Just  
18 before we do this. You properly noted the  
19 difference and -- expanded. There's testing for  
20 DSM purposes, testing at the request of the  
21 region. My understanding, which I just want to  
22 review, is the testing for DSM purposes would use  
23 FN30 as a fairly important consideration. If it's  
24 above FN30 then that would seem to indicate that  
25 the aggregate is acceptable, although one would

1 like to see somewhat higher numbers.

2 But in terms of testing for a  
3 region the FN30 level is a little bit more  
4 flexible. It can be more or less than that  
5 depending upon various factors that might barrier  
6 on the significance of friction demand in respect  
7 of the road segment being identified or being  
8 tested.

9 So if the geometry is  
10 particularly severe then perhaps a number close  
11 to, but even if above FN30, would dictate that the  
12 friction characteristics be looked at a little bit  
13 more carefully than if the geometry was relatively  
14 flat and straight, in which case friction levels  
15 would seem to be rather less important.

16 Is that a fair summary of the  
17 evidence as you understand it of the MTO?

18 MR. BOURRIER: I think that is  
19 a fair summary. The only qualification I'll add  
20 is the FN30 number is being looked at by the soils  
21 and aggregate section for the DSM testing. They  
22 are the ones who are directing the paving  
23 evaluations (skipped audio) to conduct the  
24 testing. They also have information about the  
25 particular aggregate that they are testing.

1                   So, for example, geologist is  
2 looking at these particular test results. So they  
3 are also looking at the results, keeping in mind  
4 information they already have about that  
5 particular aggregate. So, for example, they may  
6 expect something from an Ontario Trap Rock versus  
7 a different type of aggregate. So in that sense  
8 it is still a bit of a general guideline because  
9 they may expect more from a particular aggregate  
10 than another one based on the laboratory tests  
11 that they have and the research they have for that  
12 particular aggregate.

13                   JUSTICE WILTON-SIEGEL: So  
14 what you're saying is even in the case of DSM  
15 testing FN30 is not an absolute standard.

16                   MR. BOURRIER: Correct.

17                   JUSTICE WILTON-SIEGEL: Okay.

18                   MR. BOURRIER: As I mentioned,  
19 the 2007 friction testing was pursuant to a  
20 request from an external entity. I just want to  
21 go over what the general policies are for an  
22 external request, which is that the pavement and  
23 foundation section head would assess whether MTO  
24 can accommodate the testing. The province's own  
25 friction testing needs to be prioritized over

1 external testing and it's carried out as a  
2 courtesy when resources permit.

3 If the MTO is unable to carry  
4 out friction testing, one external entity,  
5 information is typically provided to the requester  
6 about available alternatives such as private  
7 friction testing companies.

8 If MTO conducts the testing  
9 the requester is provided with the raw data  
10 friction test results, the requester may be  
11 provided with high level explanations of the data  
12 but MTO personnel would not prepare additional  
13 analysis by way of reports or assessments for  
14 external entities, although they would be at the  
15 liberty to engage consultants to do so where  
16 desired. So MTO would not place restrictions on  
17 how the external entities uses the data.

18 In terms of the specific facts  
19 of the 2007 friction test on the Red Hill, I'm not  
20 going to go over all of the details because it's  
21 already been discussed. But in September 2007  
22 Dr. Uzarowski e-mailed Mr. Raymond and requested  
23 that MTO carry out previously discussed friction  
24 testing on the Red Hill.

25 He was referring to a

1 discussion in July 2007 where Dr. Uzarowski  
2 informed Mr. Raymond that the City may ask MTO to  
3 conduct friction testing on the Red Hill prior to  
4 its opening.

5 In October 2007 Mr. Marchello  
6 conducted friction testing on the Red Hill using  
7 the MTO's skid trailer.

8 A few key things I want to  
9 know about the particular type of testing is that  
10 it was very limited. It was approximately 3.8  
11 kilometres in length on a section of two  
12 southbound Red Hill lanes. That section was clear  
13 enough in order for Mr. Marchello to conduct the  
14 testing due to the ongoing construction activities  
15 on the Red Hill.

16 The next day, so October 17th,  
17 2007, MTO reviewed the results and concluded they  
18 were acceptable. In fact, they considered the  
19 results higher than those that they collected on  
20 pavements at the time that were presenting early  
21 age SMA issues.

22 The following day Mr. Raymond  
23 provided the 2007 results to Dr. Uzarowski and  
24 Mr. Delas Reyes of Golder. Mr. Raymond requested  
25 that they distribute the 2007 results to those

1 involved with the Red Hill project. He also  
2 offered to assist if they had any questions about  
3 the 2007 results. Nobody from the City or Golder  
4 contacted Mr. Raymond with questions about the  
5 friction results, or to express potential friction  
6 concerns in respect of the Red Hill after the 2007  
7 testing.

8 To sum up, the 2007 friction  
9 results. As I said, MTO viewed them as  
10 acceptable. They also viewed them as acceptable  
11 keeping in mind what category this testing fell  
12 under. The request for testing didn't arise in  
13 the context of an identified pavement performance  
14 concern. It was of a general nature to shed light  
15 on the frictional qualities of the Red Hill before  
16 it opened to the public.

17 In terms of how MTO  
18 distributed the results we say that that also was  
19 entirely reasonable. The friction test was  
20 conducted pursuant to a press from Dr. Uzarowski  
21 on behalf of the City. The results were provided  
22 by Mr. Raymond promptly to Dr. Uzarowski  
23 indicating that he should share them with those  
24 involved in the project as necessary.

25 Having not received any



1 follow-up from the City or Golder regarding the  
2 2007 results, it was reasonable for Mr. Raymond to  
3 conclude that there was no ongoing  
4 friction-related concerns in respect of the Red  
5 Hill at this time.

6 I would like to turn now to  
7 the DSM testing from 2008 to 14 with the exception  
8 of 2013.

9 Again as I've mentioned, this  
10 testing is now being conducted for a different  
11 purpose, for internal testing for the DSM list. A  
12 significant number of a proportion of MTO friction  
13 testing work is conducted at the request of the  
14 soils and aggregate section. They are the  
15 custodian of the DSM list. The purpose of the DSM  
16 list friction testing is to assess whether an  
17 aggregate has suitable frictional qualities  
18 particularly in the long term.

19 After the testing is completed  
20 the pavement evaluation supervisor typically sends  
21 the results to the soils and aggregate section  
22 head as well as the geologist responsible for DSM  
23 management. A copy is also sent to the head of  
24 the pavement and foundation section, but that is  
25 more for work tracking purposes since the pavement

1 evaluation supervisor's direct manager is the head  
2 of the pavement and foundation section. But it is  
3 a soils and aggregate section that is directing  
4 this type of testing.

5                   The normal procedure is that  
6 DSM applicants are not provided with copies of the  
7 friction tests themselves, however where an  
8 application is satisfactory the applicant would be  
9 informed by a letter from the soils and aggregate  
10 section that the aggregate has been accepted for  
11 inclusion on the DSM list.

12                   In that correspondence it  
13 would be confirmed that the aggregate has achieved  
14 satisfactory infield testing results for two  
15 consecutive years and that future testing will  
16 take place to ensure that the aggregate remains  
17 suitable for inclusion on the DSM list.

18                   To sum up DSM testing in  
19 general, it is limited in nature. It's usually  
20 conducted on a straight section of the road and  
21 it's intended to assess long term aggregate  
22 trends. I said this already, but it is not  
23 conducted to identify whether a road -- its  
24 friction levels meets its friction demands.

25                   I've situated DSM friction

1 testing in general, so now I would like to look at  
2 the specific DSM friction testing from 2008 to  
3 2014. This has already been discussed so I will  
4 briefly go through how MTO considered these  
5 results.

6 The 2008 results were  
7 considered good by the MTO and acceptable for the  
8 aggregates potential DSM list inclusion if another  
9 year of acceptable results was obtained. That was  
10 the case. In 2009 the DSM friction testing was  
11 carried out and the results were considered  
12 acceptable as well.

13 As a result of that, the head  
14 of the soils and aggregate section informed Demix  
15 that the aggregate had qualified for inclusion on  
16 the DSM list, and it was noted in correspondence  
17 to them that the 2008 and 2009 friction results  
18 were considered acceptable by the MTO for DSM list  
19 purposes. As a result, the Demix aggregate was  
20 included on the DSM list in 2009.

21 As part then of the DSM list  
22 monitoring practices the aggregate was tested  
23 again in 2010, '11, '12 and '14.

24 I'm going to come back to the  
25 2010 results, but for 2011 and 2012 MTO viewed the

1 results as acceptable for continued inclusion on  
2 the DSM list. As I mentioned before, there are no  
3 friction results for 2013 because of the network  
4 level testing that was occurring at that time.

5 In 2014 MTO viewed those  
6 results as being acceptable as well for continued  
7 inclusion of the aggregate on the DSM list. And  
8 the Demix aggregate was removed from the list in  
9 2016, however we know from the evidence this was  
10 the result of a business decision by Demix to  
11 delist the aggregate.

12 I'll spend some time now just  
13 talking about the 2010 friction results and  
14 explain why we say that the evidence demonstrates  
15 that Ms. Lane did escalate to the 2010 friction  
16 results.

17 In terms of those results, MTO  
18 had formed a concern about declining friction  
19 numbers disclosed by this particular year. The  
20 initial results showed a drop in friction since  
21 2009. The 2010 results were sent to Ms. Lane by  
22 Mr. Marchello on November 15, 2010. In response,  
23 she confirmed that she intended to call  
24 Dr. Uzarowski to ask for City contact with whom  
25 she could share the information.

1                                   With the passage of time  
2   Ms. Lane does not remember specifically doing so,  
3   however in her testimony she provided credible  
4   evidence that she said she would certainly have  
5   reached out to Dr. Uzarowski for contact  
6   information given that was her stated intent, and  
7   in turn she would have certainly contacted the  
8   city to inform them of the friction testing.

9                                   I think it's important to keep  
10   in mind that it was after Ms. Lane's testimony  
11   that her evidence was corroborated by evidence by  
12   Dr. Uzarowski in the form of a note that he made  
13   in this notebook. The note is made on the same  
14   day, November 15th, 2010. I appreciate that the  
15   note says "Becca Lane 2007 friction on the Red  
16   Hill Valley Parkway."

17                                  I think this suggests he did  
18   have a call with Becca Lane on November 15th. I  
19   appreciate he writes "2007 friction on the Red  
20   Hill" but that doesn't make as much sense given  
21   that Ms. Lane has said in her testimony that she  
22   was going to call on November 15th because -- and  
23   in response of the 2010 results.

24                                  I do note Ms. Lane doesn't  
25   remember the telephone call or what she said in

1 the call, and Dr. Uzarowski also doesn't recall  
2 what was said on the call, although he does rely  
3 on his note of that date to assist him.

4 Dr. Uzarowski also says that  
5 in addition to being sure that Ms. Lane did call  
6 him that he would have provided her with contact  
7 information for Gary Moore.

8 The last bit of puzzle on this  
9 I think is Mr. Moore's evidence. He did say that  
10 he was unable to recollect a conversation with  
11 Ms. Lane in around this time. However, he does  
12 acknowledge that it certainly could have happened  
13 and he also says there would be no reason to doubt  
14 Ms. Lane's evidence on this matter.

15 I think Ms. Lane has  
16 demonstrated that she is a very credible witness  
17 and she said she would call, and after the fact it  
18 was determined that she did.

19 If we combine the evidence of  
20 Ms. Lane, Dr. Uzarowski and Mr. Moore I think it  
21 must be accepted that Ms. Lane did inform  
22 Mr. Moore of the apparent drop in friction numbers  
23 between 2009 and 2010 shortly after November 15th,  
24 2010.

25 As you are aware the concern

1 in respect of 2010 results did resolve itself in  
2 2011. At that time it was discovered that the  
3 decline in friction levels as between 2009, 2010  
4 was the result of human error.

5 Mr. Marchello had carried out  
6 the 2010 test at 100 rather than 90, a speed which  
7 was what he had tested in the prior years. Once  
8 the results were adjusted there was no concerns by  
9 MTO with respect to the 2009 to 2010 results. I  
10 also want to highlight --

11 JUSTICE WILTON-SIEGEL: Can I  
12 just ask you when exactly you think that  
13 correction occurred?

14 MR. BOURRIER: I can try and  
15 determine that for you, just give me one moment.

16 I don't have it readily  
17 available but I believe it was at the time of the  
18 2011 testing, and I see --

19 MR. LEWIS: I believe  
20 Mr. Bourrier is right about that. It was at -- he  
21 corrected it at the time when he sent the results  
22 in 2011.

23 JUSTICE WILTON-SIEGEL: That  
24 was my impression but I just want to confirm that.

25 MR. BOURRIER: I just also

1 want to note that I think this evidence from Ms.  
2 Lane demonstrates that had similar issues arisen  
3 in the future they would have been handled in the  
4 same manner and that the City would have been  
5 informed, however MTO did not have any further  
6 issues with respect to the DSM testing in the  
7 subsequent years.

8 On the DSM friction test  
9 results. I just want to talk now about MTO's  
10 distribution of those results and why we say that  
11 that was also acceptable in the circumstances.

12 Unlike the 2007 results the  
13 DSM results were requested by the soils and  
14 aggregate section. As the testing was conducted  
15 to measure the qualities of the Demix aggregate  
16 and not to investigate any infield concerns, the  
17 results were not shared with the City as the 2007  
18 results had been. Remember, those results were --  
19 that testing was done at the courtesy -- by the  
20 MTO for the City.

21 MTO's distribution (garbled  
22 audio) results is also grounded in the fact that  
23 this testing is limited in nature. Again, it is  
24 primarily intended to assess the long term  
25 aggregate trends.



1 I also note in terms of the  
2 DSM results we had no concerns with them except  
3 for in 2010 where I say we took appropriate  
4 action, and neither Dufferin or Demix requested  
5 the DSM results from MTO at any time during the  
6 period that this aggregate was included on the DSM  
7 list, nor did anyone from the City.

8 Commissioner, those were the  
9 key points that I wanted to that cover in my  
10 submissions. I'm happy to answer any further  
11 questions you have.

12 JUSTICE WILTON-SIEGEL: Those  
13 are the key points you wanted to cover with  
14 respect to -- that's all four of the points?

15 MR. BOURRIER: That's correct.

16 JUSTICE WILTON-SIEGEL: The  
17 only question I have is with respect to your views  
18 as to jurisdiction. I'm going to ask whether this  
19 is what you are suggesting.

20 I think you're suggesting that  
21 as a commissioner of a municipal inquiry I would  
22 have the authority to recommend changes to the law  
23 or the regulations under respective laws that deal  
24 with the matters that are governed by the terms of  
25 reference but that I would not have jurisdiction

1 to address, if you like, the executive function of  
2 government, the actual operation of the executive,  
3 including policies or procedures. Is that the  
4 dividing line that you're proposing in your  
5 submissions?

6 MR. BOURRIER: That is  
7 correct, that's the line that we are proposing.  
8 And the point I just want to also add about that  
9 is I don't think you have the evidence before you  
10 to go there either. I think it's important to  
11 note that evidence has not been introduced in this  
12 inquiry about Ontario's policies, practices and  
13 guidelines about how they apply provincewide,  
14 especially considering the vast road network in  
15 Ontario and the different sections of the  
16 province, the very make-up of the province. That  
17 evidence just is not before you. So to make any  
18 at large analysis of Ontario's policies and  
19 procedures we would say is beyond the scope of the  
20 inquiry.

21 That being said, I don't  
22 disagree with what Mr. Lederman said yesterday on  
23 behalf of what he said in terms that you are  
24 tasked with answering the terms and questions and  
25 making factual findings in terms of those

1 particular questions. But we do note that that is  
2 only on whether there is friction standards in  
3 place in Ontario during the relevant periods and  
4 whether they were publicly available; not, for  
5 example, whether it should be implemented --  
6 whether a friction threshold should be implemented  
7 on a provincewide basis.

8 JUSTICE WILTON-SIEGEL: Okay.  
9 Let me just take a look at my notes. Before we  
10 break -- I'm just going to suggest that we take a  
11 ten minute break which will give me an opportunity  
12 review where we are and address a few questions in  
13 my notes.

14 I'm assuming that without  
15 inviting any further submissions, that none of the  
16 parties have anything further they wish to address  
17 with the Commission; is that correct? I'll take  
18 the silence to be yes. So why don't we adjourn  
19 for ten minutes. It's 22 past, so we'll return at  
20 25 to 1:00. Thank you.

21 --- Recess taken at 12:22 p.m.

22 --- Upon resuming at 12:36 p.m.

23 JUSTICE WILTON-SIEGEL: So  
24 this is the last day of the live-streamed public  
25 hearings. I will deal with any further

1 information that the inquiry receives, if it does  
2 receive any information from the participants or  
3 members of the public as I deem appropriate at the  
4 time.

5                                   Having completed the public  
6 hearings and having received the submissions of  
7 the participants yesterday and today as well as in  
8 written form 10 days on ago, my task is now to  
9 draft the report of my findings and my  
10 recommendations based on the evidence that we've  
11 heard. Once complete, my report will be delivered  
12 at the same time to the City of Hamilton, who have  
13 requested this inquiry, as well as the  
14 participants and the public to whom it will be  
15 released, as I say, at the same time.

16                                   Before we close this hearing I  
17 do want to thank all of the participants for their  
18 very thorough and helpful written and oral closing  
19 submissions over the last two days, and in  
20 particular, more generally, I want to acknowledge  
21 the work of counsel for the participants over the  
22 entire course of the inquiry. You have greatly  
23 assisted commission counsel and myself with the  
24 investigation.

25                                   I also want to reiterate the

